

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

BEFORE THE
FEDERAL ENERGY REGULATORY COMMISSION

- - - - - x Docket Number
IN THE MATTER OF: : P-2485-063
FIRSTLIGHT HYDRO GENERATING COMPANY : P-1889-081
- - - - - x

Northfield Mountain Visitors Center
99 Millers Falls Roads
Northfield, MA 01360
9:10 a.m.

Monday, November 25, 2013

The above-entitled matter came on for scoping meeting,
pursuant to notice, at 9:10 a.m.

1 PROCEEDINGS

2 MR. HOGAN: All right. Good morning. My name
3 is Ken Hogan. I'm with the Federal Energy Regulatory
4 Commission. We're here for the re-licensings of the Turners
5 Falls and Northfield Mountain Projects and the study plans
6 -- and a study plan discussion on how the closure of Vermont
7 Yankee may influence study timing and study methodologies
8 and things like that -- or it may not.

9 So I'm hoping for a good, robust discussion of
10 what we think needs to be addressed and how it should be
11 addressed today.

12 A couple of housekeeping. Everybody knows
13 where the restrooms are: Over there.

14 No punching today. Okay?

15 And I've invited Entergy here today to give us
16 a description of how they envision the closure to take place
17 specifically with when will the effects on the river be
18 either discontinued or limited, and what the timing of that
19 is, and what the magnitude may be.

20 And I want to keep that discussion to that
21 aspect, not to why aren't you decommissioning it in a
22 different way. I want to know what their proposal is and
23 what their projected effects are for the river. And that's
24 what's going to influence our studies. So if we can work
25 with that, that would be great.

26

1 With that, I'd like to go around the room and
2 just start up introductions.

3 MR. ETTEMA: I'm Nick Ettema. I'm a fisheries
4 biologist with FERC.

5 MR. SEARS: Mike Sears, fisheries biologist,
6 FERC.

7 MR. ARNOLD: Steve Arnold, fisheries biologist,
8 HDR contractor for FERC.

9 MR. DAVID: Owen David, New Hampshire
10 Department of Environmental Services.

11 MR. SPRANKLE: Ken Sprankle, U.S. Fish and
12 Wildlife Service.

13 MR. PUGH: Don Pugh.

14 MR. WARNER: John Warner, U.S. Fish and
15 Wildlife Service.

16 MR. SLATER: Caleb Slater, Mass Division of
17 Fisheries and Wildlife.

18 MR. LEDDICK: Jesse Leddick, Mass Division of
19 Fisheries and Wildlife, Natural Heritage Program.

20 MR. HAZELTON: Peter Hazelton, Mass Division of
21 Fisheries and Wildlife, Natural Heritage Program.

22 MR. MCDAVITT: New Hampshire Fisheries
23 Services.

24 MS. GRADER: Melissa Grader, U.S. Fish and
25 Wildlife Service.

26

1 MS. KENNEDY: Katie Kennedy, Nature
2 Conservancy.

3 MR. RAGONESE: John Ragonese, TransCanada.

4 MR. HANSON: Brian Hanson, Normandeau
5 Associates.

6 MS. DONLON: Andrea Donlon, Connecticut River
7 Watershed Council.

8 MR. BATHREY: Michael Bathrey, landowner-member
9 of Connecticut River Watershed Council and the Connecticut
10 River Streambank Erosion Committee.

11 MR. MINOR: Tom Minor, Franklin Regional
12 Funding Board and the Connecticut River Streambank Erosion
13 Committee.

14 MR. BENNETT: John Bennett, Williams Regional
15 Commission and the Franklin Conservation District.

16 MR. SEIRA: Bob Seira, FirstLight Power.

17 MR. CHRISTOPHER: Tom Christopher, New England
18 Flow.

19 MR. MEYER: Karl Meyer.

20 MR. WARD: John Ward, Gill Select Board.

21 MS. TOMICHEK: Chris Tomichek, Kleinschmidt
22 Associates and FirstLight.

23 MS. WOOD: Julia Wood, Van Ness Feldman, the
24 licensing Counsel for First Light.

25 MR. SULLIVAN: Tom Sullivan, Gomez and
26

1 Sullivan, Consultants for FirstLight.

2 MR. HOWARD: John Howard, FirstLight.

3 MR. WAMSER: Mark Wamser, Gomez and Sullivan.

4 MR. CROCKER: Jeff Crocker, Vermont Agency of
5 Natural Resources.

6 MS. WILL: Lael Will, Vermont Fish and Wildlife
7 Department.

8 MR. DAVIS: Eric Davis, Vermont Agency of
9 Natural Resources.

10 MR. DEVINE: John Devine, HDR, consultant to
11 FERC.

12 MS. BLAUG: Elisabeth Blaug, FERC Office of
13 General Counsel.

14 MR. HOGAN: All right.

15 COURT REPORTER: Well, wait. There are some
16 folks in the back.

17 MR. HOGAN: Oh. Sorry.

18 MR. SKIBNIOWSKY: Steve Skibniowsky,
19 Entergy-Vermont Yankee. I'm the specialist for radioactive
20 effluents.

21 MS. DE WALD: I'm Lynn DeWald from Vermont
22 Yankee. I'm the non-rad environmental specialist.

23 MR. SLADE: Mark Slade, observer.

24 MS. GRIFFIN: Jennifer Griffin, TransCanada.

25 MS. O'DEA: Erin O'Dea, TransCanada.

26

1 MR. CUBITNASS: Bob Cubitnass, Department of
2 Environmental Protection.

3 MR. WICKER: Bob Wicker.

4 MR. HOGAN: Thank you. Thank you for that.

5 So the objective of today's meeting is really
6 to get a good understanding of what -- how the potential
7 closure may affect the current baseline and that's what we
8 want to get at, and then have an understanding of how that
9 change in baseline and what may affect studies, which
10 studies it may affect, and how it may affect them.

11 We outlined in our letter noticing the
12 meetings, you know, we identified kind of three components
13 that could be affecting, the timing of the implementation
14 could affect the methodologies of the study or it could be
15 both.

16 There is also another component that we've kind
17 of identified. And there's an interrelationship with many
18 of the studies. So if one study's affected that, you know,
19 before we determine that this study may be affected by the
20 closure of Vermont Yankee but another one may not, but the
21 one that is affected has an integral role into the other
22 study, we kind of need to identify those too.

23 So I want to kind of put that out there to
24 start thinking about that now. We're going to get a -- have
25 a presentation from Entergy, just nuts and bolts of what
26

1 they're predicting of what and when the effects to the river
2 may take place under their current plan.

3 And then what -- in the agenda we have an
4 opportunity for a caucus for stakeholders, if you want to
5 take an opportunity to digest what we've just learned, talk
6 amongst yourselves about what do we think that means for the
7 study plans, that's an option. If you feel you want to move
8 forward without the caucus, that's an option, too. I just
9 put it in there in case you folks wanted to have that
10 conversation.

11 COURT REPORTER: If you have more agendas,
12 there's some folks who came in after the first pass-around.

13 MR. HOGAN: Yes.

14 Who needs an agenda?

15 (Documents distributed.)

16 MR. HOGAN: Because we are recording the
17 meeting, if -- before speaking, if you could identify
18 yourselves for the court reporter, that would be
19 tremendously helpful. And we appreciate that.

20 MS. DONLAN: There's one study that wasn't
21 identified by FERC as being affected by the VY shutdown that
22 I'd like to --

23 MR. HOGAN: Add to the list?

24 MS. DONLAN: -- express an opinion that I think
25 it should be added. When is --

26

1 MR. HOGAN: Okay.

2 MS. DONLAN: -- the time to put that into the
3 agenda.

4 MR. HOGAN: Let's put it in now. What is it?

5 MS. DONLAN: The erosion studies, the one
6 that's -- the second one, 3.1.2, on page 3-30 of the revised
7 study plan, past three lists the various -- about nine
8 different problems of erosion. One of them is ice or
9 debris. And the study design says that, you know, of these
10 nine, we think four of them are the most important causes of
11 erosion.

12 MR. HOGAN: Okay. You've made your point. We
13 can put it up for discussion. I agree --

14 MS. DONLAN: Okay.

15 MR. HOGAN: -- with you. So we'll put it on
16 the agenda. We will address it. In numerical order, it
17 will come first.

18 MS. DONLAN: Okay. Good.

19 MR. HOGAN: Yeah. If any of you feel that
20 there's a study that should be discussed that we have not
21 included here -- and maybe a study that we've already
22 weighed in on with our study plan determination -- that
23 would be useful information also. Nothing's off the table
24 here.

25 Lynn, with that, would you like to...

26

1 If I could have you just come up here. If you
2 have a projector, I can bring you a mike, one or the other.

3 MS. DE WALD: Bring one back here, too.

4 MR. HOGAN: Sure.

5 MS. DE WALD: Good morning, everybody. My name
6 is Lynn DeWald.

7 And I had a call a couple of weeks ago from Ken
8 asking if somebody from Entergy would be willing to come and
9 talk to you guys about what we do know about the closure of
10 Vermont Yankee. And I'll start by saying that what we do
11 know is not a lot.

12 It was announced in August -- late August of
13 this year that Entergy had decided that Vermont Yankee was
14 no longer economically viable and that we would be closing
15 on December 29th, 2014.

16 . So what I can tell you about that is current
17 we're planning to conduct business as usual through 2014.
18 And then on December 29th both flow and thermal discharge
19 from Vermont Yankee will be reduced by about 98 percent from
20 what it is currently -- what it's capable of currently.

21 Beyond that, Vermont Yankee's still -- in the
22 moment they're trying to figure out what the org chart is
23 going to look like. So this is not a fast process that --
24 we're not getting a lot of information quickly. And they're
25 still trying to figure out what on December 29th the org

26

1 chart's going to look like. So that's sort of where we are
2 in the process at our level.

3 My colleague, Steve Skibniowsky, has been at
4 the plant for 42 years. And, you know, I guess we basically
5 would like to open up for questions if anybody has specific
6 questions. But we don't have a lot more to throw at you.

7 MR. HOGAN: You say a -- I have a question. --
8 a 98 percent reduction in flow and thermal discharge of what
9 you're currently allowed. Can you elaborate a little bit on
10 what the current allowance is?

11 MS. DE WALD: So right now we have -- we have
12 seven pumps that -- three are capable of sucking 120,000
13 gallons a minute. That's our condenser cooling water. And
14 then we have four what are called service water pumps that
15 have a capacity of about 3000 gallons a minute.

16 And the number of service water and circ water
17 pumps that we use varies depending on the time of year,
18 river flow, ambient temperatures, things like that. So if
19 you look at what all seven pumps could do, that's about
20 373,000 gallons a minute.

21 On December 29th, all we're going to be using
22 are two service water pumps at 3000 gallons a minute each.
23 So 6000 gallons divided by 373,000 is about 1.8 percent. It
24 comes out to like 16 cfs, if that's helpful, 16-17 cfs
25 versus 800-and-something, which is more what we do now.

26

1 MR. HOGAN: And the -- temperature-wise, you
2 have projections of that?

3 MS. DE WALD: Temperatures of the service
4 water?

5 MR. HOGAN: Your discharge.

6 MS. DE WALD: So generally the way you can look
7 at it, I think, is that whatever we're doing -- if we're
8 running full power or we're running two service water pumps,
9 it's generally a 20 degree delta-T across our condenser.
10 That's not at the point of discharge, but that's -- you
11 know, it still has to go out through the discharge canal,
12 maybe through the cooling towers -- maybe not -- maybe
13 recycling back to the intake.

14 It just depends on how we're lined up to be
15 operated.

16 MR. HOGAN: 20 degree C or F?

17 MS. DE WALD: Fahrenheit.

18 MR. HOGAN: And you're looking at a 98 percent
19 reduction in that as well?

20 MS. DE WALD: At least, relative to thermal --
21 maybe even more.

22 MS. BLAUG: Can I ask a more general question?

23 I'm Elisabeth Blaug from FERC.

24 Does the decommissioning -- is that an NRC --
25 does it need NRC authorization? I assume so. And if so, is

26

1 NRC going to do an EIS or EA on the decommissioning?

2 MR. SKIBNIOWSKY: I'm not sure what an EIS is.
3 Could you explain?

4 MS. BLAUG: I'm sorry. Environmental Impact
5 Statement.

6 MR. SKIBNIOWSKY: I'm not familiar with the
7 process other than it will take a couple of years for us to
8 put together a decommissioning plan, which will include, you
9 know, whatever the company ends up deciding to do, you know,
10 whether it's -- and how long that's going to last and how
11 we're going to go about that.

12 MS. BLAUG: I think NRC --

13 MR. SKIBNIOWSKY: But we have two years to do
14 that.

15 MS. BLAUG: I think NRC is here, right?

16 MR. HOGAN: No.

17 MS. BLAUG: NRC is not here?

18 MR. SKIBNIOWSKY: Not at our behest.

19 At any rate, one thing to remember with Vermont
20 Yankee going forward is that we're really the first single
21 unit BWR to shut down permanently. There have been no more
22 -- there have been no other full-size BWRs like ours shut
23 down. So some of -- it's going to be a learning curve for
24 us and for the industry on just what the parameters are
25 going forward.

26

1 It's -- you know, there are other BWRs that are
2 close. For instance, at Millstone there's a BWR, Millstone
3 1. However, both other reactors at Millstone are still
4 operating. So as far as just shutting down an entire site,
5 we're the first one to do that.

6 MR. HOGAN: Is that a public process, or is it
7 just between Entergy and the NRC?

8 MR. SKIBNIOWSKY: I don't know a lot about the
9 process. My understanding is is that our plan will be put
10 together and then reviewed by the NRC. But I don't know
11 much more about it than that. And I'm not sure at what
12 stage the public gets involved, if any. I really don't know
13 that.

14 MR. HOGAN: Thank you.

15 MR. SKIBNIOWSKY: As far as impacts to the
16 river, however, you know, we're going to be probably in a
17 very unique situation here.

18 MR. SLATER: Caleb Slater, Fish and Wildlife.
19 What was the plant, Yankee Rowe -- it's gone now -- was it a
20 different design?

21 MR. SKIBNIOWSKY: That was a very small PWR --
22 pressurized water reactor -- and a very different
23 configuration as far as where it stores its fuel and how it
24 shuts down.

25 By the way, I should introduce myself again.

26

1 Steve Skibniowsky with Entergy Vermont Yankee. Pardon me.

2 COURT REPORTER: Can you spell that?

3 MR. SKIBNIOWSKY: Yes, I can. It's
4 S-k-i-b-n-i-o-w-s-k-y.

5 MR. HOGAN: I'm glad you can spell it.

6 (Laughter.)

7 MR. SKIBNIOWSKY: Since I was quite young.

8 (Laughter.)

9 MR. SKIBNIOWSKY: So that -- we're kind of
10 unique at this point. We've always been a leader in the
11 industry, and I guess we're doing that again.

12 Any other questions for me?

13 MR. HOGAN: I do have another question.

14 We talked about a 98 percent reduction. Is
15 there a duration to that? Is there a point in time that
16 Entergy envisions that the reduction will be 100 percent?

17 MR. SKIBNIOWSKY: Well, that service water
18 cooling that we use, will be used to cool our fuel pool, the
19 pool that houses the fuel that's going to be removed from
20 the reactor after December of 2014, that fuel will need to
21 remain in the fuel pool being cooled by that cooling source
22 for approximately five years, at least. It could go as long
23 as six years. So that would take us out to at least
24 probably 2020, 2021 before the fuel can actually be removed.

25 My understanding also is is that the number of
26

1 plants out there looking for fuel -- dry fuel storage casks,
2 there's a finite number of makers of these casks, a very
3 limited number. So it will be in line to get casks as they
4 come in. But it doesn't mean that we're going to have a
5 whole bunch sitting on the shelf waiting for us. So there
6 may be some delays in that process as well.

7 MR. HOGAN: But once the rods are removed from
8 the cooling pool and placed in the dry casks, the discharges
9 --

10 MR. SKIBNIOWSKY: At some point after that then
11 the fuel pool itself could be, as I understand it in the
12 general way of things, taken out of service.

13 When that actually happens for our situation,
14 you know, we're putting that plan together now. And we've
15 got some time to -- we have to take some time to make sure
16 the plan is as accurate as can be made.

17 MR. HOGAN: Okay.

18 MR. SKIBNIOWSKY: And the company will do that.
19 We're not the kind of people that jump the gun on that kind
20 of thing. We do deliberate very carefully on how that
21 schedule rolls out because it's important. It impacts a lot
22 of people.

23 MR. HOGAN: But it's at that point in time that
24 any influence to the Connecticut River would cease?

25 MR. SKIBNIOWSKY: At that point, yes after the
26

1 fuel pool is secured, we wouldn't be cooling anything else
2 that I'm aware of, really. Are you just keeping it cool?

3 (Laughter.)

4 MR. SKIBNIOWSKY: Now, I actually -- I'm not
5 sure how much longer I'll last. I'm not sure I'll be around
6 for 2020 to be there for that evolution. But who knows? I
7 mean stranger things have happened.

8 Anything else?

9 Yes.

10 MR. MEYER: Karl Meyer.

11 There was a plan to have NEC close down after
12 almost exposing core back in the mid-'90s. Was that a
13 boiling water reactor?

14 MR. SKIBNIOWSKY: That was -- You're speaking
15 of Connecticut Yankee?

16 MR. MEYER: Yeah.

17 MR. SKIBNIOWSKY: That was also a pressurized
18 water reactor and located -- and I don't know about their
19 operating history. But I do know that that was a
20 pressurized water reactor.

21 MR. MEYER: Okay. Because there's some --

22 MR. SKIBNIOWSKY: There's a big difference
23 between the reactor types. And I don't know whether you're
24 familiar with them, but there is a big difference.

25 MR. MEYER: Okay.

26

1 MR. SKIBNIOWSKY: Not just in the way that they
2 produce energy, but also with their design as to, like,
3 where their fuel is stored, that kind of thing. It's quite
4 different between BWRs and PWRs.

5 MR. MEYER: I just asked because there's
6 probably some lessons that could be learned. There were
7 studies down there in the mid-1970s about adding hot water
8 to the Connecticut pipe -- I mean like in the mid-'70s. So
9 I --

10 MR. SKIBNIOWSKY: We have Lincoln commenting on
11 that. We have quite a few studies here, too.

12 MS. BLAUG: I have a question.

13 MR. SKIBNIOWSKY: All right.

14 MS. BLAUG: Another question.

15 MR. SKIBNIOWSKY: Sure.

16 MS. BLAUG: Is the decommissioning plan going
17 to be constructed in such a way that if economic
18 circumstances change it could --

19 MR. SKIBNIOWSKY: I'm not a --

20 MS. BLAUG: -- power up again or --

21 MR. SKIBNIOWSKY: I'm not piped into that part
22 of the process, really. I'm a -- my background is in
23 radiation protection --

24 MS. BLAUG: Uh-huh.

25 MR. SKIBNIOWSKY: -- chemistry, radiation
26

1 science, decay of radioactive materials, effluent
2 monitoring. I don't know much about finances, really.

3 MS. BLAUG: Well, I'm not asking about
4 finances.

5 MR. SKIBNIOWSKY: Oh, I'm sorry. I thought you
6 said --

7 MS. BLAUG: Just is it going to be a
8 mothballing project of plant? Is it going to be just the
9 permanent shutdown? Will there be a door open just in case
10 plans change?

11 MR. SKIBNIOWSKY: A door open for what, now?

12 MS. BLAUG: Restart.

13 MR. HOGAN: Restart, start back up.

14 MR. SKIBNIOWSKY: Well, once you make a
15 commitment to the NRC my understanding -- and I've only been
16 reading this on the NRC website. But once you make that
17 commitment you're kind of in the pipeline for shutting down.
18 I don't know of any process whereby you can take a plant out
19 of storage again.

20 One of the problems with, you know, for
21 instance, emptying the reactor vessel and draining it down
22 is now you're exposing surfaces of the reactor vessel to a
23 corrosive environment, namely air.

24 The reactor vessel is a device that you want to
25 have great control over while it's operating. You don't
26

1 want any corrosion going on. And so optimally, the reactor
2 vessel should always remain either filled or operating.
3 That keeps the corrosion rates at their lowest level.

4 The minute you expose the internals of the
5 plant to air -- especially air that's moist -- you start up
6 the corrosion process that you then need to -- you would
7 need to go back and assess how much corrosion had occurred.

8 It would be almost like taking your automobile
9 engine out, pulling the cylinder heads, and parking it
10 outdoors for a year and then trying to put that back in
11 service. The whole inside would be all rusted and you'd
12 have a big mess on your hands. And that's the same thing
13 with a nuclear -- actually not the same. But it would be
14 much worse in a nuclear plant.

15 I don't see that as an option.

16 Any other questions?

17 (No response.)

18 MR. HOGAN: Okay.

19 MR. SKIBNIOWSKY: Thank you.

20 MR. HOGAN: Thank you very much.

21 MR. SKIBNIOWSKY: Thank you very much.

22 MR. HOGAN: Now at this point in the agenda we
23 had an opportunity for a caucus if folks wanted to discuss
24 amongst themselves the information that they've learned just
25 now and how they feel with the planned studies. Is that

26

1 what folks want to do?

2 I'm seeing no.

3 MR. MEYER: Is that it? Are you going to stay
4 around? Are you here for the day?

5 MS. DE WALD: Not necessarily.

6 MR. SKIBNIOWSKY: We weren't invited to be part
7 of any study groups.

8 MR. MEYER: Okay. I just wanted to know if we
9 have access to you - - . We don't have access to them after
10 this.

11 MR. HOGAN: Right.

12 Now they may stay until after the caucus if
13 there are any new questions. But other than that -- .

14 So a show of hands: Who wants a caucus; who
15 doesn't.

16 Who wants a caucus?

17 Okay. I'll move forward.

18 Do folks need a break?

19 No. Let's go. Okay.

20 Thank you very much. Really appreciate it.

21 I will say tomorrow we have a very similar
22 agenda. We again announced that Entergy was going to be
23 present today because I didn't want -- I wanted to limit the
24 meeting to stakeholders who are involved with the licensing.
25 So if we can keep that as tight as possible for tomorrow's
26

1 meeting, I would also appreciate that. But I recognize that
2 that may not happen.

3 All right. Thank you, Lynn and Steve. I
4 appreciate it. I'll let you go any time you want.

5 Did anybody have any other studies that they
6 thought they wanted to add to the agenda above and beyond
7 3.1.2?

8 (No response.)

9 MR. HOGAN: Okay. Let's start with the Erosion
10 study, 3.1.2.

11 Andrea, you put it on the agenda. So let's
12 hear the argument.

13 MS. DONLAN: Okay.

14 MR. WARNER: We caucused, a number of us on the
15 phone last week. And it seemed like, before we get into the
16 questions of these studies, we need to understand how FERC
17 is going to actually schedule out the process relative to a
18 delay. So right now the process would have two years of
19 study, 2013 - 2015, and then the license would have to be
20 filed --

21 MR. HOGAN: 2017, 2016.

22 MR. WARNER: Right. You know. If we go to --
23 if we take this down the road for a year, there are a number
24 of studies that either need two years or may need two years.
25 And that would mean seven years after license and
26

1 application filing under the current schedule.

2 So how does FERC --

3 MR. HOGAN: All right. I was going to have
4 that discussion at the end of the meeting, although we can
5 have it now.

6 MR. WARNER: Well, I think it's better for us
7 to know so we don't --

8 MR. HOGAN: Let me start by saying that we have
9 not made any decision about the licensing schedule. We're
10 holding these meetings to get an understanding of what the
11 implications may be for that schedule and to inform the
12 Commission's decision. So we're here to really seek input.

13 Hypothesizing there could be several scenarios
14 -- and some we're aware of and some we're not yet. But they
15 could be as simple as studies are conducted and, you know,
16 current studies that we've already approved -- absent maybe
17 3.1.2 -- are conducted next year. And then studies that we
18 feel that are affected may be conducted in 2015 or 2016,
19 depending on what the means are.

20 If we find that, you know, it's appropriate
21 that they wait five or six years until the -- there is no
22 effect of Vermont Yankee on the river, then, you know, maybe
23 we look at license term extensions. So there's a broad
24 range of tools available to us.

25 The license term issue extension could not
26

1 apply to Northfield Mountain because that's already a
2 fifty-year license. But the others are under a forty year
3 license and it's within the Commission's jurisdiction to
4 issue licenses for thirty to fifty years.

5 So we have a pretty big tool box to work with.
6 I think our preference is to not unduly delay any of the
7 studies. But we're interested in quality data and relevant
8 data. Collecting data that's on a baseline that's going to
9 change drastically is not in I don't think anybody's
10 interest. We don't feel that we'll make good environmental
11 decisions based on erroneous data so -- and that's why we're
12 here.

13 The other thing is, if we do do studies and
14 let's say they carry into 2016 and they're basically
15 conflicting with -- pardon me -- basically conflicting with
16 the license application filing deadline.

17 Now that license application filing deadline is
18 a statutory deadline. We do not have that tool in our tool
19 chest to shift it. That's law. FERC can't change it. So
20 the application has to come in on April 30th, 2016, no
21 questions asked.

22 But in the ILP we have dealt with this scenario
23 where studies aren't done or completed yet and therefore the
24 data from those studies is not incorporated into the license
25 application.

26

1 But the license applications are -- anticipate
2 those holes and have incorporated placeholders into the
3 application for when that study data will become available.
4 And then once the studies are done the licensees are
5 expected to update the license application and then also not
6 only incorporate the new data, but if that new data were to
7 cause any other parts of the application to be outdated or
8 erroneous, they would have to correct those sections also.

9 Does that answer your question, John?

10 MR. WARNER: Yes.

11 MR. RAGNESE: Clarification. When you said
12 updating, that's just -- studies or proposed mitigation?

13 MR. HOGAN: It could be both.

14 It's also your analysis of project effects
15 that's, you know -- if you don't have --

16 MR. RAGNESE: Yea, I was just -- .

17 MR. WARNER: Okay. Two other questions.

18 This is John Warner, Fish and Wildlife Service,
19 by the way.

20 One is if through the discussion here and the
21 Commission's review it's determined that some studies should
22 be delayed to 2015, and some of those would likely require
23 two years of study, I know you can't shift -- so you can't
24 shift the application deadline. But would the study plan
25 determination say you're going to do studies in 2016,
26

1 post-filing? Or would all studies in 2016 be considered
2 additional information requests that have to be filed --

3 MR. HOGAN: No.

4 When the -- it will depend on the study plan
5 determination. It would not be handled as a -- we basically
6 are approving the studies.

7 If we found that the schedule needed to be
8 shifted, we would shift that schedule, the study plan
9 determination, in direct -- you know, when I say 'shift,'
10 it's a modification from what's proposed and we would
11 instruct, you know, like any other study plan determination,
12 if we have something that needs to be changed, we tell -- we
13 say this needs to be changed, and then that's the
14 expectation.

15 MR. WARNER: All right. So one last question
16 just to clarify.

17 Since Northfield received a fifty-year license
18 at the start when they got their license, they can't get a
19 license to extend beyond fifty years. So if studies are
20 delayed, you know, until 2015-'16, but then there are still
21 questions that are open, the Commission would have to issue
22 a license by the expiration date with some sort of
23 post-license requirement? Is that the only mechanism we
24 have for resolving any further questions?

25 You couldn't extend the license. So you have
26

1 to --

2 MR. HOGAN: But we can do --

3 MR. WARNER: -- fit it in.

4 MR. HOGAN: We can't extend the filing date for
5 their current license application --

6 MR. WARNER: Right.

7 MR. HOGAN: -- requirement. But I do believe
8 we can issue annual licenses on a fifty year term.

9 MR. WARNER: Oh, you can add -- All right.

10 MR. HOGAN: So that's my problem.

11 MR. WARNER: All right. That's what I -- I
12 thought you were saying you couldn't -- couldn't do that.

13 MR. HOGAN: No. What I'm saying is if --
14 hypothetically if everybody said, you know, we ought to put
15 this all on hold for ten years, you know, there could be an
16 option to amend the current licenses to change the
17 expiration date of the licenses. And I don't know if that's
18 anybody's desire. But, you know, a worst case scenario...

19 MR. RAGNESE: Just to clarify -- because this
20 is I think a reasonable thing to be thinking about. But
21 that option is only available for the projects. Is that
22 basically what you're saying?

23 MR. HOGAN: Yes.

24 MS. BLAUG: The FPA only --

25 MR. RAGNESE: Yeah. That's what I just wanted

26

1 to clarify.

2 MR. HOGAN: Okay.

3 MR. RAGNESE: Which is different than annual
4 licenses.

5 MS. BLAUG: Correct.

6 An annual license is just -- it just kind of
7 automatically happens when the term of the license expires.

8 MR. RAGNESE: John Ragnese.

9 So let's say in your study plan determination,
10 or after a study is completed and there's a need for more
11 information before the license is filed or on time,
12 application. And in either one there is a -- like a series
13 of ten studies that have to be done in over five years, some
14 sequentially. When do you update -- I don't -- I'm not --
15 or maybe it's one year.

16 But what I'm trying to get at is that if every
17 time you update your license application with the results of
18 a study, and then you perform an environmental, you know,
19 you have made your environmental package, and you may end up
20 doing your proposed mitigation or, you know, license
21 conditions, do you do that once after all of them are done,
22 or do you do it each one -- or do you kind of --

23 MR. HOGAN: That's a good question, John.

24 Typically the way it's handled is that the
25 study reports -- and we know the study reports are dealt

26

1 with through Section 5.1.5 of the Commission's regulations,
2 which is the interim study report and comment on the studies
3 and things of that nature.

4 Once all those reports are done and the reports
5 at the end of the studies are completed, there's no more
6 'You need to go out and do further study,' you know, at that
7 point in time -- and we can be flexible how we handle it --
8 my experience has been at that point in time you update your
9 license application once all the studies are completed and
10 you file that in the package.

11 MR. RAGNESE: And then FERC acts on whether or
12 not they accept the application. Is that correct?

13 MR. HOGAN: Right.

14 Yeah, we won't -- While there are outstanding
15 environmental studies that are required by the Commission,
16 as part of our regulations, you know, we say that we will
17 not issue the acceptance and REA notice until those state
18 requirements have been completed. 5.2.1.

19 Other process questions?

20 MS. WILL: Lael Will, Vermont Fish and Wildlife
21 Department.

22 I just want a clarification. So with the
23 decommissioning of Vermont Yankee you were talking about
24 thermal discharge. But there's also the component of
25 entrainment and impingement, which could affect baseline
26

1 conditions. And I just wanted to have clarification if
2 that's going to be factored into how these studies proceed,
3 if that's been...

4 MR. HOGAN: Let me turn that around. We're
5 here. Is that something you want factored into --

6 MS. WILL: Yes.

7 MR. HOGAN: -- consideration of how these
8 studies proceed?

9 MS. WILL: Yes.

10 MR. HOGAN: That's why we're here.

11 MS. WILL: Okay.

12 MR. HOGAN: Okay?

13 MS. WILL: I just wanted to --

14 MR. HOGAN: Yes.

15 MS. WILL: -- get clarification.

16 MR. WARD: John Ward, Gill Select Board.

17 There are two things that this brings up to me.
18 One is there is a climate change impact study that was early
19 on in the process dismissed. And I'm wondering if the need
20 for that study has changed now that conditions have changed
21 where Vermont Yankee is closing.

22 And one of the things that was brought up
23 before Vermont Yankee was closing was the need for the
24 Northfield Mountain Pumped Storage Facility, being as that
25 was built as part of the nuclear build-out in the '70s. And

26

1 that of course was dismissed because Vermont Yankee was
2 closing -- Vermont Yankee was not closing there still is a
3 need for a pumped storage facility.

4 And now that Vermont Yankee is closing, has
5 that changed? And what is the underlying reason for the
6 Northfield Mountain Pumped Storage Facility?

7 And to do studies of how many fish do we entrap
8 and entrain and spawning habitat that is destroyed, river
9 bank erosion that happens and so on, how do we now weigh
10 that against the loss of the main underlying reason for this
11 to operate?

12 MR. HOGAN: Okay.

13 So regarding the need for Northfield Mountain,
14 that's an analysis that will take place in the Commission's
15 NEPA analysis. Currently we are evaluating the applicant's
16 proposal. And that proposal is to maintain that project.
17 So in order to fully evaluate their proposal we have to do
18 our environmental -- we have to collect the environmental
19 studies. But that need for power and that need for -- that
20 analysis you're asking for will come in the Commission's
21 NEPA document.

22 MR. WARD: As long as someone is asking those
23 questions.

24 MR. HOGAN: Okay.

25 Any other overall process questions before we
26

1 -- Andrea?

2 MS. DONLAN: Andrea Donlan, Connecticut River
3 Watershed Council.

4 I was just wondering if the group consensus is
5 that, realizing things should happen, you know, soon, but
6 going bumped back, there are probably some longer-term fish
7 populations that people want to look at, you know, ten years
8 or something, is there any mechanism for sharing the costs
9 with, you know, the responsible party, which is not
10 necessarily the hydropower facility? Or I mean how would
11 anyone agree to that when it's not necessarily their --

12 MR. HOGAN: Anything that would occur
13 post-licensing is kind of not a discussion for today. I
14 mean if you saw -- If you saw --

15 MS. DONLAN: Well, it kind of impacts thinking
16 on when to do the studies, I suppose.

17 MR. HOGAN: Can you elaborate a little bit
18 more?

19 MS. DONLAN: I mean I don't know what the group
20 consensus is. But if people felt like we'll know mostly
21 enough how to proceed within a few years, but there's other
22 questions that may be out there that we'd like to know about
23 that's more like a ten-year time frame but people don't want
24 to wait ten years to do the whole relicensing --

25 MR. HOGAN: So my suggestion is if we feel that
26

1 there's information that we can gather in the near future,
2 in the next three years, let's say, that will give us most
3 of the answers that we need, you know, and adopt a manager
4 approach after the license is issued, if appropriate, then
5 we can require that that license.

6 If we make a change in project operations and
7 we want to evaluate the effectiveness of that change and,
8 you know, see if there's another step to the change that
9 needs to be done -- that's pretty common in our licenses.
10 But those recommendations would come after the license
11 application was filed when we seek comments on those types
12 of things.

13 So what I would like to concentrate on is what
14 are those information needs in the next -- in the near
15 future that will help inform special condition requirements
16 later on. And, you know, if our analysis shows that, you
17 know, we're going to need to check back in on 'x' study,
18 then, you know, that will become a recommendation that the
19 Commission staff will make to the Commission, and then
20 potentially adopted into this and made a license condition.

21 But we can't at this stage require studies that
22 are going to come out post-license.

23 Does that make sense?

24 Karl.

25 MR. MEYER: Karl Meyer.

26

1 Just looking ahead as you say that -- or maybe
2 you can tell us -- are pumped storage re-licenses currently
3 being handed out at fifty-year extensions -- or fifty-year
4 terms?

5 MR. HOGAN: Re-license? Is that what you're --

6 MR. MEYER: Yeah. I'm just trying to figure
7 out where this might go.

8 MR. HOGAN: I'll let you explain how FERC does
9 this. And it doesn't matter whether it's pumped storage
10 or...

11 MS. BLAUG: Yeah. I mean they're case-specific
12 and it depends on, you know, how much mitigation and what,
13 you know, are they going to -- are turbines going to change,
14 are fins going to change. And we look at all kinds of
15 factors in deciding.

16 If there's a minimal amount of change between
17 the current license and the new license, then it's a
18 thirty-year. Above that then it's forty. And then if
19 there's a significant amount of, you know, changes that cost
20 money and what-not, then its fifty years. So it's really
21 project-specific.

22 MR. MEYER: Okay.

23 Do you know of any re-licensing of pumped
24 storage that is being given a new fifty-year license?

25 MR. HOGAN: I can't say that I know of any
26

1 re-licensing of pumped storage.

2 MS. BLAUG: Yeah. I can't think of any right
3 now, but we can check into that.

4 MR. HOGAN: Then that license term is only
5 determined once the order is issued. It's not something
6 that's discussed and made by analysis specific to a
7 fifty-year term, discussed in terms of thirty to fifty
8 years. So...

9 MS. BLAUG: It's a Commission decision.

10 MR. MEYER: Yeah.

11 MR. HOGAN: I will say that the majority of the
12 hydro cases that I work on that's a re-license they do not
13 get fifty-year licenses -- the majority; I won't say all --
14 but thirty and forty-year and forty-five year are pretty
15 common.

16 Any other questions?

17 (No response.)

18 MR. HOGAN: Okay. So we added study 3.1.2, the
19 erosion study, to the agenda.

20 Andrea, it sounds like you would like us to
21 consider delaying the implementation of that study?

22 MS. DONLAN: Not necessarily delaying it.

23 As I mentioned, the task three identifies about
24 nine different causes of erosion. And there's a stipulation
25 in there saying that if we feel that some of these ones we

26

1 find are minor causes are more major than we thought, we'll
2 look at them further in the field work. And the field work
3 is currently scheduled for having already been done this
4 fall or is in the process of being done right now. I don't
5 know. Or next summer-ish.

6 And so if -- when Vermont Yankee shuts down and
7 the river ices up again, and the ice becomes more major than
8 it is now, there is no mechanism currently written in the
9 study that would ever look at that.

10 So I guess I don't know if the whole thing
11 needs to be changed. But it would be good to consider
12 adding in some clause about, you know, after VY shuts down,
13 something to that effect.

14 I don't know if anybody else feels that way or
15 what others think -- .

16 MR. MINOR: No, just -- Tom Minor.

17 The Stream Bank Erosion Committee in the
18 Regional Planning Board are on this issue as well. We feel
19 it's a significant one.

20 MR. HOGAN: Let me ask you, do you feel that
21 this is a specific issue that could be addressed well
22 through the entire changing environmental condition? It
23 sounds like you're okay with the study currently as it is
24 moving forward on schedule. But you're concerned that the
25 change in the environmental conditions may provide new
26

1 information and the need for additional information or more
2 analysis.

3 Is that a fair characterization? Meaning if
4 ice becomes a source for -- we're going to have to look at
5 that more closely than I am currently.

6 MS. DONLAN: I think mostly that captures it,
7 although I haven't thought through whether deciding where
8 the transects need to go could capture. And the idea that
9 there might be ice in the future, that would change the
10 methodology going forward. And I don't think that anyone
11 from DEP has been involved in the transects.

12 MR. CUBITNASS: We have been involved in that.

13 MS. DONLAN: Uh-huh. Good deal.

14 MR. CUBITNASS: Bob Cubitnass, DEP.

15 The point you're making now is a good one. I
16 think we'll give it a little more thought on how it's going
17 to fit. We do have transects set up. We've got to get a
18 team to look at those transects over a long period of time.

19 MR. HOGAN: Bob, we're bringing you a
20 microphone.

21 MR. CUBITNASS: I'm sorry.

22 Thanks. It's Bob Cubitnass, Department of
23 Environmental Protection.

24 The point about ice within the erosion studies,
25 I don't think it was looked at specifically -- or is
26

1 addressed specifically within those. We're looking at
2 transects; we're looking at the overall erosion rates within
3 that.

4 MR. DEVINE: Would you tap the microphone and
5 see if it's on?

6 MR. CUBITNASS: It makes no difference?

7 UNIDENTIFIED PARTICIPANT: It's on.

8 MR. CUBITNASS: Great. It's on?

9 (Simultaneous discussion.)

10 MR. CUBITNASS: No, it's something I haven't
11 come up with an answer yet. I think we need a discussion on
12 that a little bit. We'll do it tomorrow during this
13 meeting.

14 UNIDENTIFIED PARTICIPANT: So tomorrow...

15 MR. CUBITNASS: I'm not looking at a delay of
16 existing study. I'm thinking how we can look at the data
17 that we collect from the existing study and use that.

18 I think from your point of view -- from FERC's
19 point of view looking at every time you delay the study a
20 year or whatever period of time -- or not -- I'm thinking we
21 can address it going forward.

22 MR. HOGAN: Okay.

23 So moving forward -- do you think we can move
24 forward to study as currently written and visit this issue
25 --

26

1 MR. CUBITNASS: Yeah.

2 MR. HOGAN: -- after the first year of study.

3 MR. CUBITNASS: Yeah.

4 MR. HOGAN: Do you folks have a concern with
5 that?

6 MR. MC DAVITT: Bill McDavitt with NMES.

7 I guess -- One thing that might help this
8 entire process is do we have a map of the thermal plume? I
9 mean we've got an existing condition with the 800 or so cfs
10 that Entergy mentioned. Is there any sort of map that sort
11 of lays out this thermal plume, if you will?

12 MR. HOGAN: We have looked at that. And we
13 think from our perspective we're looking at effects of VY.

14 We're taking a very conservative approach, you
15 know, from the discharge point -- or maybe the intake point
16 -- downstream, you know, and specifically went looking for
17 the shape of that thermal pooling. I don't know that that's
18 really a concern for whether or not -- .

19 Even if that thermal pool becomes dissipated,
20 the background ambient condition of the river is different.
21 So --

22 MR. MC DAVITT: Well, agreed.

23 But I guess, you know, when we check the
24 cross-sections I think it's probably a reasonably safe
25 assumption that there's going to be less ice closer to the
26

1 run-in by the time you're down here, that effects on ice
2 wouldn't be a problem. So as far as the transect location,
3 it seems like some sort of -- I mean every year is
4 different, natural variability, all the rest.

5 But just a rough idea about how far that plume
6 extends, with some sort of map with that plume, would be
7 helpful information.

8 MR. HOGAN: What I want to avoid is -- my
9 intent for this meeting today is not to get into changing
10 study methodologies.

11 What I want to hear is a discussion that needs
12 to be had; and if the answer is yes or no, that's the
13 information I want. If we feel that the study as designed
14 will not address a specific issue vis- -vis how it's
15 associated with VY and its closure, does that need to come
16 back and -- the stakeholders wanting to seek further
17 discussion.

18 MR. MC DAVITT: Well, then for 3.1.2, Bank
19 Erosion, given the change -- and what you just said, given
20 the change in Vermont Yankee closure, somehow the process in
21 subsequent meetings, how it will just happen such that a
22 change in the methodology of 3.1.2 occurs.

23 MR. HOGAN: Okay. Now the question is can you
24 go forward, because the ice isn't going to change next year;
25 the 2015, maybe 2016 -- right? -- based on what we learned
26

1 today?

2 MR. MC DAVITT: No. Winter, January of 2015 --
3 well, actually -- no, it's going to be -- this coming winter
4 will be warm; January of 2015, it won't.

5 MS. DONLAN: So the study currently has a
6 combination. They'll use pre-existing transects that have
7 been monitored for many years. Those wouldn't really
8 change.

9 But there is going to be potentially new
10 transects established. And I think our argument is becoming
11 that when they're establishing those new transects they pick
12 sites that they anticipate you would be able to observe the
13 ice, effect of ice.

14 MR. HOGAN: And how are they hoping to
15 establish those transects?

16 MS. DONLAN: I have no idea. I am not part of
17 that.

18 MR. MC DAVITT: Well, there are the 20 existing
19 transects.

20 MS. DONLAN: I think the company and DEP staff
21 are going out and choosing them. So they're not actually
22 written into the study plan right now.

23 MR. HOGAN: But it's in consultation with.

24 MS. DONLAN: Right.

25 MR. HOGAN: So it sounds to me like the study
26

1 can't address that. Really in consultation at least it's
2 location of those transects.

3 MS. DONLAN: Yes.

4 MR. HOGAN: And the location of transects is
5 the only concern, right?

6 MS. DONLAN: Yeah.

7 MR. HOGAN: Okay.

8 MS. DONLAN: So I would say just that that
9 consultation consider that issue.

10 MR. HOGAN: All right.

11 So here's my suggestion, and you let me know if
12 you think it works.

13 Change that: In consultation with the
14 transects under the current schedule, ice be considered
15 maybe a greater extent than what may have been listed
16 already. After the first year study results there's an
17 opportunity to build - - to revisit the study and change the
18 conditions and additional meetings.

19 So does that work for folks? And if it does, I
20 mean it's -- you know, we don't have to do anything at this
21 time; just move through the study plan as designed and
22 question the process.

23 If it doesn't work, you let me know and we'll
24 -- Like I said, everything's open. I just want to make sure
25 that we have a process to do the work.

26

1 MR. MINOR: Tom Minor.

2 How do we cover the license period where we
3 could see significant changes of ice impacts in the river?
4 I think that's a very important issue to us to make sure
5 that if there is suddenly a real change in the way in which
6 the banks are scoured in ice-out conditions that it's dealt
7 with in the license somehow.

8 MR. HOGAN: That's a fair enough statement Tom,
9 though I think it's a little premature. The way we'll get
10 it covered is in five more years -- going to be part of the
11 license application, including recommendations for
12 conditions or measures that you'd like to see in place
13 through the re-license. And that's how it will be covered.

14 If we agree with you we'll write the
15 requirement into the license.

16 MR. BATHREY: Michael Bathrey, Connecticut
17 River Committee.

18 One of the things we've requested previously is
19 to have the FRR repeated before the re-license, which could
20 be 2016 on the three- to five-year cycle, both to make sure
21 it's comparable and repeatable with the methodology, and
22 also this would give us another look at what's happening on
23 the river. So that's something to throw into the hopper
24 also.

25 MR. HOGAN: Ken.

26

1 MR. SPRANKLE: Ken Sprankle, Fish and Wildlife
2 Service.

3 I'm just going to mention, I have the report
4 with the temperature data I've been collecting. It's not a
5 nice study, but it reflects the water temperature.

6 The temperature report I was able to release in
7 September quite a few people have received, but I don't
8 think the crest cast. Andrea, you have access. But I could
9 get you a copy of that to help provide some additional
10 information. I can send it to you, Ken.

11 MR. HOGAN: Yeah.

12 Okay. Other comments on 3.1.2?

13 (No response.)

14 MR. HOGAN: At the end of the meeting we're
15 going to have John Devine kind of go over a summary of where
16 we left things.

17 Okay. Study 3.2.1, Water Quality Monitoring
18 Study. Any suggestions or recommendations regarding Water
19 Quality Monitoring? Delays, modifications in methodologies?

20 MR. WARNER: It should be delayed.

21 MR. HOGAN: Delayed?

22 MR. WARNER: Pretty obvious. The water
23 temperature monitoring is critical, you know, as part of
24 that.

25 MR. HOGAN: 2015, delay?
26

1 Is everybody okay with that recommendation?

2 Delaying the water quality study until 2015?

3 Andrea?

4 MS. DONLAN: I'm fine with that.

5 I do think that there are a bunch of these
6 studies that have like task one is to do a literature review
7 or task one is to, you know, you write up the sampling plan.
8 And given how rushed the whole study review process was, I
9 just feel that it would be good for us to consider whether
10 those tasks -- those studies with a task one like that
11 actually move forward so that we would have more time to
12 hear what the plan is.

13 MR. HOGAN: I think that's a valid comment. So
14 field work delay, but anything that's desktop we will
15 recommend no delay and the desktop move forward -- I mean
16 the field work be delayed.

17 MS. DONLAN: Yeah.

18 MR. HOGAN: Kind of splitting it up.

19 MS. DONLAN: So in this study task one was
20 write a sampling plan and get it renewed by NPP. So I would
21 recommend that that happen still as scheduled.

22 MR. HOGAN: Tom.

23 MR. SULLIVAN: I guess it is a process --
24 really affect the last study -- . In terms of particularly
25 the last study, you know, that was a new study.

26

1 So my question for you guys is is that, you
2 know, as you come out of this meeting are you -- was this
3 your -- the meeting to determine direction or is there a
4 different open proceedings to give you guys input on this
5 stuff?

6 MR. HOGAN: You want an opportunity to comment
7 to the question of research?

8 MS. DONLAN: In written.

9 MR. SULLIVAN: Well, in written comments. And
10 also an opportunity to do give some thought to what we're
11 hearing today.

12 MR. HOGAN: Okay.

13 We don't have a process set up. But I will say
14 our record is always open. If you wanted to respond --
15 anybody who wants to provide written comments can go ahead
16 and do it. I will bring it back to my supervisors that
17 you'd like thirty days to respond to any of those.

18 Is that fair?

19 MR. MC DAVITT: Bill McDavitt.

20 Now what's the turn-around time for today's
21 meeting, summary meeting minutes.

22 MR. HOGAN: I think it's ten days.

23 Mr. Court Reporter, is it ten-day turn-around
24 on transcripts?

25 COURT REPORTER: Yes.

26

1 MR. HOGAN: Okay.

2 MR. MC DAVITT: Thank you.

3 MS. DONLAN: Does that mean that we would have
4 an opportunity to also -- I mean right now we're not going
5 into the most detail. If we were going to write comments we
6 might -- .

7 Are you saying the company would respond and
8 then you guys would consider them?

9 MR. HOGAN: What I'm hearing is that there is
10 an interest in First Light wanting to provide a response to
11 these meetings. What my impression was was -- or what I
12 said was I can bring the idea of a comment period back to my
13 supervisors. I may be able to get an answer for you at
14 lunch. I don't know.

15 If we created a comment period what I was
16 thinking was it would be the same time period for everyone.

17 MS. DONLAN: Okay.

18 MR. HOGAN: What I think I'm hearing from
19 Andrea is that you want to be able to respond to the
20 comments. So thirty days for FirstLight and sixty days for
21 stakeholders. And I don't think that would happen.

22 MR. SULLIVAN: So again, just so that -- where
23 my question was too is we're not suggesting a process. We
24 were curious as to what it was so it informs how we interact
25 today.

26

1 MR. HOGAN: Okay.

2 MR. SULLIVAN: So what we'd like to do is --
3 Tom Sullivan, Gomez and Sullivan.

4 So we weren't asking for a specific process,
5 you know, because one of the things that we're also
6 concerned about is just, you know, the we're also going
7 through the process. So what we'd like to do, if we could,
8 is just take ten minutes, a caucus, so we could -- for ten
9 minutes -- just so that we can talk and make sure that we're
10 giving you what you need today. And FirstLight needs to
11 talk among themselves a little bit. So if that would be
12 okay, that's what we would like to do.

13 MR. HOGAN: I think that's fair.

14 What I would like, to give you a little bit of
15 -- because I haven't done this. What I'm hoping to get from
16 FirstLight today -- so you can caucus about it -- is if you
17 see -- if you're hearing recommendations from stakeholders
18 that cause you heartburn or you see clear schedule conflicts
19 or things that just won't work, I'd like to hear -- I'd like
20 to be made aware of those, please, that you know for sure.
21 Okay? And share them in the room; maybe we can work
22 something out.

23 But the intent today is not to come up with a
24 consensus of how we're going to move forward. The intent is
25 to inform the Commission as to what the stakeholders'

26

1 concerns are so that we can make an informed decision on how
2 we are going to move forward. Okay? I don't have the
3 authority to come in here and say, 'Let's do that.' Okay?

4 John.

5 MR. WARNER: Okay. John Warner, Fish and
6 Wildlife Service.

7 So two points there. One is, just so everyone
8 in the room -- because not everybody's familiar -- that this
9 will go on the FERC record so if you say something and all
10 you're going to write is the same thing, then it's going to
11 be -- FERC has it and it's on the record. You don't need to
12 repeat that --

13 MR. HOGAN: That's true.

14 MR. WARNER: -- to get it on the record.

15 MR. HOGAN: Yeah.

16 MR. WARNER: I mean you can, but you don't need
17 to.

18 And the other is I think if there are going to
19 be studies done this year, in 2014 -- you know, I'm all
20 about making sure that there's communication. But if we
21 push these -- if we push the decision of the Commission too
22 late, then we're going to be confronted with study plan
23 reviews that are going to -- they're going to want to rush
24 them because they're really going to get in the field. And
25 that's going to be problematic on that end.

26

1 So to the extent that we can get everything out
2 and again just make -- at least if there's consensus in the
3 room and the applicant doesn't disagree with the consensus
4 in the room, I would assume that -- I don't know what I
5 assume the Commission's going to do. But I would think that
6 would go a long way to setting the recommended schedule.

7 MR. HOGAN: I will bring back the consensus for
8 sure. And whether there's a dispute, you know, if I agree
9 with it, I'll support it. But I can't agree that -- as
10 history will show -- demonstrate, I can't promise, you know,
11 -- .

12 All right. Let's go ahead and take a
13 ten-minute caucus.

14 (Recess.)

15 MR. HOGAN: Before we move on with water
16 quality, let me go back to some of your comments about --
17 from FirstLight. -- the water quality studies that -- just
18 delaying it as written is going to be probably be
19 appropriate. I just want to make sure that folks don't see
20 any need for a change in methodologies for that study.

21 (No response.)

22 MR. HOGAN: Okay.

23 Tom, you wanted to bring us...

24 MR. SULLIVAN: Tom Sullivan, Gomez and
25 Sullivan.

26

1 So we wanted to caucus just to be clear how,
2 you know, what that interaction we thought you folks were
3 looking for today and what kind of direction we needed to
4 go. And so what I would like to do is just kind of -- we've
5 covered two studies so far. We've covered 3.1.2 study;
6 we've covered water quality. And I can kind of give you our
7 general reaction.

8 I think the comment on ice is something that we
9 do need to consider for 3.1.2. There was a lot of
10 discussion about whether that had anything to do with
11 transect selection. It is not clear to us it has anything
12 to do with transect selection.

13 How we accommodate ice in the study is
14 something we need to go back and kind of think about a
15 little bit. It is -- you know, for us it was like a new
16 issue today. So we need to go back and give some thought to
17 that.

18 So that's where we are on ice.

19 On water quality, we're in agreement that we
20 think the study should be deferred until 2015. There was a
21 discussion about performing tasks or sub-tasks that you
22 could, you know, do them earlier. And I think again that's
23 a case by case decision on the studies.

24 But I think in this case there are some
25 sub-tasks that we could do in 2014. We can report on the
26

1 progress of those sub-tasks in the interim study report at
2 the end of the year.

3 But what we don't want to have happen is a
4 series of smaller deliverables happening. So right now each
5 of the studies -- like the water quality study -- was a
6 report. The deliverable was a report, and it had several
7 sections. We don't want to turn that into different
8 deliverables.

9 One is it generates a lot more work. The
10 second thing is is that it ends up with the potential for
11 information being taken out of context. And so we want to
12 avoid both of those things.

13 So, you know, like I say, the caucus was more
14 about how we were going to interact. And we wanted to get
15 your feedback on the first two studies.

16 MR. HOGAN: Regarding the deliverables issues,
17 I think our expectation is that, you know, the ISR -- the
18 Initial Study Report -- is a progress report to check in and
19 let us know what you've completed and what you haven't and
20 if you've deviated from the study methodologies in any way
21 or if you had any variances.

22 So I don't think from an official perspective
23 we would be looking for a summary report of, in that case, a
24 literature review; just tell us how you've been implementing
25 the study plan, which was the intent of the regs. And as
26

1 long as we meet 5.15...

2 Any feedback from the group?

3 (No response.)

4 MR. HOGAN: Okay.

5 The next item on the agenda was study 3.3.1,
6 Conduct Instream Flow Habitat Assessments in the Bypass
7 Reach and below Cabot Station. Does that study have any
8 influence in any way by Vermont Yankee's decommissioning?

9 MS. DONLAN: No.

10 MR. SULLIVAN: No.

11 MR. MC DAVITT: I think it should go forward.

12 MR. HOGAN: Okay.

13 Does FirstLight have any concerns with that?

14 MR. HOWARD: It'll be great.

15 MR. HOGAN: Okay.

16 The next item, 3.3.2, Evaluate Upstream and
17 Downstream Passage of Adult American Shad.

18 MR. WAMSER: I believe this one has a big
19 potential to be influenced and needs to be delayed.

20 MR. HOGAN: Delayed to 2015?

21 MR. WAMSER: Yes.

22 MR. HOGAN: Andrea.

23 MS. DONLAN: This is a study that task one was
24 review existing methods and task two was come up with a
25 study design. I'm going to throw it out there that some of
26

1 these could actually happen in 2014.

2 But I agree, the actual study..

3 MR. HOGAN: Tasks one and two, 2014; field work
4 2015.

5 MS. TOMICHEK: Actually -- This is Chris
6 Tomichek.

7 Task one isn't methods. Task one is to
8 actually go back and look at existing data to figure out if
9 something is there that we can use to set the study. That's
10 a little different than just reviewing methods. It's real
11 data that the lab has collected over the last ten years.

12 MS. DONLAN: Okay. I was picturing it like a
13 literature review, something that --

14 MS. TOMICHEK: No. We're actually looking at
15 real data. We're looking at the data that Ted and Ken
16 collected, the whole river study, TransCanada, or else we're
17 looking at data that Connie Lab has looked at. And with
18 Cabot Ladder for, you know, several years to see how we can
19 use that to design a better study.

20 MS. DONLAN: Okay.

21 MS. TOMICHEK: So I agree, if this is going to
22 be put off to '15, it would be good to have a little more
23 time to really get into that data and do a good review.

24 MS. DONLAN: Okay.

25 MR. RAGNESE: Do I understand you're talking
26

1 about the work that's been -- that the Columbia work and
2 everything, that tracking would have been done in the last
3 couple of years?

4 MS. TOMICHEK: Yes.

5 MR. DEVINE: Tasks one and two would continue
6 in 2014; one or two studies here in 2015? Is that...?

7 MS. TOMICHEK: That would be -- make the most
8 sense to me, yes. We just got the data two weeks ago from
9 Ted, so it would be good to have a little more time to
10 process it. And we can always get, you know, get something
11 ready for 2015, which is when we're going to do the study.

12 MR. HOGAN: I think we're all on the same page,
13 then.

14 3.3.3, Evaluate Downstream --

15 MR. MC DAVITT: Just to back-up...?

16 MR. HOGAN: Sure.

17 MR. MC DAVITT: If we're not reducing mortality
18 then -- if mortality estimates cannot be assessed giving
19 motion-sensing tags in year one then FirstLight will
20 consider ID tags determining mortality at Cabot Station and
21 Station One in year two.

22 Have you given -- We agree this should be
23 delayed and not -- this isn't for 2016? At the end of 2015
24 they would make this decision?

25 MR. HOGAN: If the Commission approves it as
26

1 written, that's correct.

2 MR. MC DAVITT: And as far as process goes?

3 MR. HOGAN: There's no -- A delay in the first
4 year of the study does not change the information needs that
5 the Commission has determined that it needs for its
6 purposes. And if it means that studies have to be conducted
7 in 2016, that's what will happen.

8 Andrea.

9 MS. DONLAN: Just a question for the fisheries
10 folks.

11 Is the setting up of the tag readers and the
12 receivers and everything enough of a -- it'd be nice to have
13 more time to fiddle with it and get it right so that year
14 one of the study is really good, or does it -- is it
15 probably not a big deal?

16 MR. SPRANKLE: (Inaudible.)

17 Ken Sprankle, Fish and Wildlife Service.

18 We thought -- We had a meeting a couple weeks
19 ago on this. It's the providing of the data.

20 One of the outcomes from our preliminary
21 analyses of our data on the whole river study was that, you
22 know -- you know, recommendations would be -- would do a
23 better job in terms of determining tag detection ranges and
24 things that we, quite frankly, just didn't contemplate to do
25 sufficiently early.

26

1 So anyways, to your point, for the radio tag
2 studies, yeah, I think there's value in having more time to
3 do testing and verification. Just -- You can't really set a
4 lot of this gear up until you get immediately before the
5 season starts and you're under a time crunch and there's
6 poor conditions or potentially something.

7 MR. DEVINE: Acoustic testing that was planned
8 for 3.3.3 would move to August 2015.

9 Sorry, John Devine, HDR/FERC.

10 This has a parallel study over in 3.3.3. I
11 guess we'll get to that. The question then, the
12 hydro-acoustic setup and testing that was originally planned
13 for August 2014 under this delay would move to August 2015,
14 correct?

15 MR. WARNER: Correct.

16 MR. DEVINE: The hydro-acoustics with their --
17 ?

18 MR. WARNER: Yeah. That would be delayed as
19 well.

20 MR. HOGAN: John's following my instructions.
21 I said I want to be very careful to pay attention to
22 inter-related studies and how one may affect another. But I
23 do want to go through one at a time and maybe make those
24 connections.

25 Back to the design of the studies: What I'm
26

1 hearing is it would be nice to have more time to do 'x,'
2 'y,' and 'z.'

3 I want to proceed as though we have the same
4 amount of time as we had for the study plan determination.
5 Those issues that are under the previous schedule for the
6 study plan determinations, those issues that have been filed
7 with the Commission, recommendations for study mods that
8 will move forward are not really the topic for this meeting.
9 I want to concentrate on effects of VY.

10 Now if we end up with more time as a result of
11 effects of the VY closure and shifts in the schedule because
12 of that, how you choose to utilize that time I'll leave to
13 the First Light and stakeholders. But we're going to weigh
14 in on what's on our record in our study plan determination.
15 I'm not re-opening a debate of those studies that have been
16 filed and comments that are there on our record now. Okay?

17 Well, 3.3.3 I heard -- we just heard that it's
18 appropriate because it's linked with 3.3.2. Also delay
19 field work for 2015.

20 Is that true?

21 MR. SULLIVAN: Yes.

22 MS. DONLAN: Yes.

23 MR. HOGAN: Is this one that has some desktop
24 task work that could occur in 2014?

25 (No response.)

26

1 MR. HOGAN: Any other comments on 3.3.3?

2 (No response.)

3 MR. HOGAN: Okay.

4 3.3.4, Evaluate Upstream Passage of American
5 Eel at the Turners Falls Project.

6 MR. HOGAN: Delay it? Go ahead?

7 MS. DONLAN: Yes.

8 MR. WAMSER: Mike Wamser, yes we can take care
9 of that.

10 MR. SLATER: Just a little -- Yeah. It's going
11 to take probably more than one year for them to figure out
12 where these eels are.

13 And I think from the folks we discussed it
14 with, the effects of temperature would be if there's a
15 concentration of temperature differential, which you're not
16 going to see at Turners Falls, out of Vernon quite possibly
17 could be an issue. But the water's well-mixed by the time
18 they get down to Turners Falls Dam.

19 So if there's an elevation of temperatures that
20 are uniform across the dam and for the study is where the
21 eels congregate. And that's related to the flow as long as
22 the temperature's the same.

23 MR. HOGAN: Okay. So there's no interest on
24 migration timing or anything?

25 MR. SLATER: Not at that point, that far
26

1 downstream. And their coming from the ocean, so.

2 MR. WARNER: And based on all years of study so
3 far at Holy Oak or on the Merrimac River, you know, there's
4 a range of them. They'll migrate upstream. You operate
5 those facilities and you have facilities for passage of the
6 eels about that period, or they will be all over the place.

7 I mean it's really -- There's no -- The
8 patterns and water, you know, closure and, you know -- so I
9 don't think you're going to solve, you know, some narrow
10 window of operations in a two-year study. You know, it will
11 be broader and longer than that. And I think you're aiming
12 at location, not timing.

13 MR. HOGAN: Okay. Everybody is okay with
14 keeping it on-schedule for 2014?

15 (No response.)

16 MR. HOGAN: Okay.

17 Any concerns about '15?

18 (No response.)

19 MR. HOGAN: Okay.

20 3.3.5, Evaluate Downstream Passage of American
21 Eel. Any temperature-dependence here?

22 MS. GRADER: I think there was a consensus that
23 -- Melissa Grader, Fish and Wildlife Service -- that the
24 telemetry portion should be delayed, but other aspects, like
25 the turbine entrainment, could proceed. Turbine

26

1 entrainments will survive that -- .

2 Any other Agency people or stakeholders speak
3 up on...

4 MR. SLATER: Well, I think the other issues was
5 -- again, this is going to be a bigger issue up at Vernon.
6 But the idea here is where you're going to be using the same
7 eels. They're going to come through Vernon and then move
8 down to Turners.

9 And if you've got everything set up in one
10 year, if you delay the study up at Vernon and do it down at
11 Turners, you end up doubling your effort. You've got to
12 find a bunch of eels two years in a row rather than one year
13 and set up the study at two different facilities two
14 different years. I think that was also an issue.

15 Just we know we're going to delay it out at
16 Vernon, so might as well delay it here since there are
17 links.

18 MS. GRADER: Correct, yeah.

19 MR. HOGAN: Did I hear -- I heard splitting,
20 and then I heard delay.

21 MR. SLATER: Delay the radio telemetry portion,
22 certainly.

23 MS. GRADER: He said that was another
24 justification for delaying.

25 MR. SLATER: Yeah.

26

1 MS. GRADER: At the Turners was because at the
2 beginning additional eels directly from upstream during
3 their study.

4 MR. HOGAN: And is the entrainment portion
5 dependent on radio telemetry at all?

6 (No response.)

7 MR. HOGAN: No?

8 MS. GRADER: Hydro-acoustics at that.

9 MR. RAGNESE: I mean, our perspective is quite
10 similar to what Caleb stated. You know, we don't work
11 closely with -- so '15, it makes sense on the radio
12 telemetry. But we also think that to make a reasonable
13 conclusion out of the entrainment and mortality and fish and
14 liable and logical impacts, you really have to wait until
15 both of those are done.

16 So we're saying we should do them in the same
17 year. At least the final part of it. Or at least have the
18 flexibility to do that.

19 So I'm not sure if there is a question because
20 we agree on the radio telemetry side. It makes sense to
21 definitely delay that. But we're actually suggesting that
22 they both go together. But that doesn't really impact the
23 transit side up doesn't impact downstream.

24 MR. HOGAN: What I got is consider moving
25 forward with the turbine entrainment paths of the study and
26

1 delaying radio telemetry until 2015.

2 John.

3 MR. PUGH: John Pugh.

4 It does seem that any of these impact studies
5 or direct turbine mortality studies are not affected by VY
6 being closed down necessarily. And it's certainly -- once
7 you go out to do those studies, the time and the temperature
8 of the water when you do them is going to depend upon how
9 you can get fish.

10 So in terms of both juvenile shad and eels,
11 there is some concern that a significant number of fish are
12 large enough to do these studies. And that someone will
13 split these so that 2014 has done as much as possible for
14 the turbine mortality of -- adequate study, that reduces the
15 need for fish in 2015.

16 And eels in particular are going to be very
17 difficult. There's a lot of eels there to use in these
18 studies.

19 So the more we can get done over a number of
20 years rather than trying to compressed it all in one year.

21 MS. TOMICHEK: Chris Tomicheck.

22 I agree with you with the eels, John. And I
23 think it's good to do them next year because that way we'll
24 need less thereafter. It makes sense.

25 The juvenile shad, though, I think we need to
26

1 hold off because part of that whole turbine mortality study
2 was we were going to work with Ken to grow the shad
3 juveniles large enough -- along with TransCanada -- So we
4 probably won't have them next year; it will probably be the
5 year after unless everybody's going to, you know -- because
6 part of that is to grow them out for radio telemetry, too.

7 MR. PUGH: Right.

8 MS. TOMICHEK: So I guess I would propose to go
9 ahead with ID tagging for the turbine mortality for the eels
10 next year, but not with the juveniles. Hold that off to
11 2015.

12 MR. PUGH: So is it not possible to grow
13 juvenile shad for 2014?

14 MS. TOMICHEK: Well, if we're going to grow
15 them up to do radio telemetry and turbine mortality, you
16 know, we're going to just double our effort if we have to do
17 one one year and one the other year.

18 UNIDENTIFIED PARTICIPANT: And I collected them
19 from the wild, so.

20 MR. PUGH: But this will be the first time that
21 they've tried to increase the size of the juveniles. And I
22 just wondered how effective that would be, whether you'll
23 have a smaller pool to pick and choose from because you're
24 both selecting for, you know... Just the largest fish come
25 to have holding tags; how many of those largest fish would
26

1 you be able to raise?

2 MR. SULLIVAN: This is what we did at Connie.
3 We did the juvenile mortality studies.

4 MR. PUGH: Yes.

5 MR. SULLIVAN: Tom Sullivan, Gomez and
6 Sullivan.

7 MR. PUGH: Some smaller fish were used because
8 there weren't all that many large fish.

9 MR. SULLIVAN: That may be true. I mean that's
10 more of a function of like, you know, the ability to grow
11 fish, you know. But I think the point is, just from an
12 efficiency perspective, you know, if we're going to grow a
13 batch of fish for radio telemetry and for mortality studies
14 it would be better just to do it one time, you know, type of
15 thing. So... Eels are a little bit different.

16 MR. HOGAN: Is there a cost concern with that?

17 MR. SULLIVAN: I'm sorry, what?

18 MR. HOGAN: Is there a cost concern?

19 MR. SULLIVAN: Well, yeah. I mean you're
20 basically -- you're incurring the cost twice by having to
21 grow fish, you know, type of thing, and the labor and, you
22 know, everything else that goes along with that.

23 MR. HOGAN: Now what I'm hearing is you think
24 there's a benefit to moving forward with the entrainment on
25 juvenile shad in 2014. FirstLight, you'd like to see it all
26

1 delayed. But I think everybody's okay with -- for juvenile
2 shad, rather -- delaying that so that it's all occurring in
3 2015 with the passage studies. And that's the general
4 consistency with the opinion that downstream American eel
5 passage could move forward with -- in 2015.

6 MR. PUGH: The turbine mortality portion of it,
7 not the --

8 MR. HOGAN: The turbine mortality --

9 MR. PUGH: -- in 2014, and the radio telemetry
10 in 2015.

11 MR. HOGAN: For eels.

12 MR. PUGH: Eels.

13 MR. HOGAN: Any other -- Karl.

14 MR. MEYER: I just want to reiterate what Don's
15 saying.

16 I think shad -- juvenile shad entrainment and
17 the whole issue of shad are such a critical part of this
18 re-licensing process that I think two years of making sure
19 we have sufficient data and sufficient individuals grown to
20 get good data out of this is very, very important.

21 MR. HOGAN: All right.

22 Study 3.3.6, Impact of Project Operation on
23 Shad Spawning, Spawning Habitat and Egg Deposition in the
24 Area of the Northfield Mountain and Turners Falls Projects.

25 MR. SLATER: This is Caleb Slater, Mass Fish
26

1 and Wildlife.

2 It's my opinion that this can go ahead. This
3 is predominantly a flow study. It's about the impact of
4 Cabot generation on spawning. I think there could be a
5 small compounding effect of temperature. But the basic
6 thrust of the study is project flows versus shad spawning.

7 MR. HOGAN: I have a question for you.

8 MR. SLATER: Uh-huh.

9 MR. HOGAN: Your requirements are looking at
10 spawning habitats not only downstream of Cabot Station but
11 also in the Turners Falls pool.

12 My understanding is that the VY discharge is
13 not necessarily completely dissipated within the -- from the
14 reservoir at Turners Falls. Is that true or not? It
15 continues to mix downstream at Vernon.

16 MR. SLATER: For a small -- for a little ways,
17 yeah, I believe that's the case, yeah.

18 MR. HOGAN: Would that influence spawning
19 locations in Turners Falls pool?

20 MR. SLATER: But I think -- again, I think the
21 major thrust of the study is the effect of project
22 operations on the known spawning areas below the Cabot.
23 While they're out there, we want to look for some other
24 spawning areas to see if they are out there, but...

25 You bring up a good point. But I think our
26

1 feeling is reviewing them is the thrust of the study as far
2 as known spawning areas or habitat in the flow.

3 MR. DEVINE: And the spawning temperature
4 should not affect this?

5 MR. SLATER: Where they spawn? It's pretty --
6 certainly below Cabot is completely mixed. So if there's
7 any effect it's going to be spread out.

8 MR. DEVINE: You say there isn't going to be
9 any? They're not going to be homing in on temperature.

10 MR. HOGAN: If the temperature of the
11 Connecticut is -- I'm not trying to be argumentative.

12 MR. SLATER: No.

13 MR. HOGAN: I was trying to find my way through
14 it.

15 If the temperature of the Connecticut changes,
16 the ambient temperature of the Connecticut changes, the
17 other tributary influences downstream of Cabot, would those
18 temperatures -- the change in the Connecticut and the
19 temperature influences have a potential of changing spawning
20 locations? I mean do shad hone in on spawning locations at
21 all substrate and temperature, or is it just purely
22 substrate and flow?

23 MR. SLATER: I don't know.

24 MR. WARNER: I think mostly they're going to
25 hone it -- they're going to find locations, you know, in a
26

1 uniform environment; that they will spawn based on, you
2 know, the physical characteristics of the habitat as well.
3 You know, and if it's warmer they'll be -- they'll mature
4 quicker; they'll spawn earlier, and conceivably spawn for a
5 shorter period of time if that, you know, brings them an
6 advantage, so it celebrates the whole process. But it
7 wouldn't -- you know, I can't see how they would change
8 location.

9 What I -- I'm not really familiar enough with
10 temperature data below Vernon at the time of year the shad
11 will spawn to know what the influence of VY is at, you know,
12 a fairly moderate, you know, flow emission, you know. It's
13 not summer low flow and it's not in winter. You know, so
14 it's in a little bit high flow. So that I -- I don't have a
15 good handle on that either, given that's occurred.

16 MS. GRADER: The most severe fish modeling
17 theories -- I mean at station three it can be, depending on
18 what ambient is at station seven, it can be up to five
19 degrees warmer than ambient at station three. So that, you
20 know, its all going to vary year to year, obviously.

21 So -- And what we do know from all the studies
22 that were done in the '70s is that, you know, basically the
23 warmer the water is the less the shad don't reach as far
24 upstream, you know, because of the downstream after the
25 spawning sooner, you know, farther downstream, and then
26

1 otherwise, where they're in cooler waters.

2 I agree that there is probably more of an issue
3 in Turner's pool than downstream. But I guess I also -- I
4 agree with John that it's probably more going to have to do
5 with the timing of spawning than spawning location. I guess
6 we don't really know for sure.

7 MR. HOGAN: And also potentially, just what you
8 said, magnitude of spawning, in warm water something will
9 spawn sooner, i.e., downstream further, whereas under the
10 change that you are traditionally seeing them spawn, the
11 magnitude may shift upstream.

12 MS. GRADER: Uh-huh. Yes.

13 MR. SPRANKLE: Ken Sprankle, Fish and Wildlife
14 Service.

15 The preliminary data that we have for 2011 were
16 that the fish, the radio-tagged fish that exited Turners
17 Falls out of -- house rapidly proceeded upstream. Typically
18 it was a day or two. So they rapidly proceeded upstream.

19 I mean, you know, experts, you know, have been
20 talking about year to year variability and so forth. So we
21 obviously -- we have discussed this. And I think we were --
22 what was our point of contention? That it was more
23 habitat-based. We did have some discussion when we were
24 talking about it here.

25 But I think, as Melissa points out, you know,
26

1 the terms -- the question about mixing conditions and so
2 forth, I mean it's our best information is that, you know,
3 it's approximately 26 miles downstream at that point.
4 What's not there is a tailrace. I mean these are questions
5 and, you know, we have all raised them before, you know,
6 from that .6 up to the tailrace, that's where we don't know;
7 we have more concerns about changes in water temperatures
8 and the like.

9 So I guess that would be, you know, what I'd
10 like to see down there.

11 MR. RAGNESE: I'm trying to think of what our
12 version of this is. And I have at times looked up yours.

13 Are you identifying habitat with radio
14 telemetry?

15 MR. SPRANKLE: Yes.

16 MR. RAGNESE: So you're tracking fish movement
17 to identify the habitat?

18 MR. SPRANKLE: So that would be particularly
19 important in the Turners pool.

20 MR. RAGNESE: And the other question is: Is
21 there a temperature-monitoring component as well of that
22 study?

23 MR. SLATER: Well, I'm sure they take the
24 temperature when they find a spawning site.

25 MR. RAGNESE: I just have --

26

1 MR. SLATER: That's just additional
2 information. That's not the major thrust of the study.

3 MR. RAGNESE: All right. Just asking the
4 question, because that's important.

5 MR. HOGAN: Don.

6 MR. PUGH: One of the great components of
7 identifying prime habitat is radio telemetry. Down below
8 Turners we have previous information on where they have
9 spawned historically as far as -- fifteen-twenty years ago.
10 The other way to identify it would be simply be boat
11 surveys, traveling up and down the river and looking for the
12 actual spawning to take place.

13 We have very little information or no
14 information perhaps about spawning in the Turners pool. And
15 so in addition to -- and so that leaves out one of those
16 important mechanisms right now about spawning habitat. We
17 know where they are because we've studied this in the past
18 from up above.

19 Radio telemetry will be important in
20 identifying where shad are stopping and spawning. So I
21 think that linking this with the radio telemetry study is --

22 MR. SLATER: Yeah. We hadn't discussed that.

23 I think that it will probably produce good
24 information that could be gained by incurring the behavior
25 of those radio-tagged fish as far as this project. I mean
26

1 you can't be certain how many of them will take part in
2 spawning. But certainly some of them should. So perhaps it
3 would be better to delay it and get the full slate of
4 information on it rather than just a portion.

5 MR. RAGNESE: Plus we may see them go through
6 our project.

7 (Laughter.)

8 MR. RAGNESE: And we'd like to do that.

9 MR. SLATER: And we've discussed coordination
10 coming downstream.

11 MR. RAGNESE: Yes.

12 MR. SLATER: So we should discuss coordination
13 going upstream. So maybe that just makes sense.

14 So I'd like to reconsider my previous
15 statement.

16 (Laughter.)

17 MR. HOGAN: Katie, you had a comment just
18 before John asked his question?

19 MS. KENNEDY: I think it's been covered.

20 MR. HOGAN: Okay.

21 So it sounds like because of the radio
22 telemetry component for identifying spawning habitat.

23 MR. SLATER: And determining the age and when
24 did --

25 MR. HOGAN: Yeah. This may be appropriate to
26

1 delay until 2015?

2 (No response.)

3 MR. HOGAN: FirstLight have any comments on
4 that?

5 MR. WAMSER: Mark Wamser, Gomez and Sullivan.

6 I think the only caution I guess is when the
7 telemetry work is being done, what is presumably in the
8 spring time. And we're going to be searching for these
9 spawning areas at the same time. So I don't know how the
10 telemetry will necessarily inform the locations.

11 UNIDENTIFIED PARTICIPANT: (Speaking off mic.)

12 MR. WAMSER: Okay. I just didn't know how much
13 of a lag in timing this would be. Okay.

14 MR. HOGAN: Andrea.

15 MS. DONLAN: Andrea Donlan, Connecticut River
16 Watershed Council.

17 If we decided to delay this one then this does
18 have a task one that's develop the study plan.

19 MR. HOGAN: The non-field components.

20 MS. DONLAN: Yeah.

21 MR. HOGAN: Any other comments regarding shad
22 spawning?

23 MR. MC DAVITT: Bill McDavitt, NMFS.

24 I guess the task two would come in 2015,
25 contamination of known spawning areas? Is that 2014 or '15?

26

1 MR. HOGAN: I think the idea was to move it
2 all.

3 MR. MC DAVITT: Okay.

4 MR. HOGAN: And I think there's some value in
5 having a data set from the same year around the studies, you
6 know, because in my mind it would be, well, if Turners falls
7 downstream in 2014 and then do Turners pool 2015, I think
8 having one data set in a given year has a benefit also.

9 MR. PUGH: It saves money because you don't
10 have to tag fish twice.

11 MR. HOGAN: Well, downstream you said we know
12 where the sites are; we wouldn't have to tag the fish.

13 MR. PUGH: No, we know where the sites were
14 identified fifteen or twenty years ago.

15 MR. HOGAN: It does say twenty years.

16 MR. DEVINE: So the meeting that was proposed
17 to be held in February-March 2014 to reach consensus on
18 field study locations, is that... because you don't have
19 more time to look at the data, or does still that study
20 schedule still hold?

21 MS. TOMICHEK: We're going to put it off for a
22 year, it might be -- might want to set a little more time to
23 kind of -- a lot of the time figuring out how we're going to
24 manipulate the project and the operations while we're doing
25 the studies.

26

1 MR. DEVINE: It does seem like that potentially
2 could have been -- You were kind of forced into that time
3 frame in order to allow --

4 MS. TOMICHEK: Right.

5 MR. DEVINE: It could be the 2014 as the --
6 that gets relaxed a little bit, too, then.

7 MS. TOMICHEK: Right.

8 MR. DEVINE: And rescheduled.

9 (Pause.)

10 MR. HOGAN: Okay.

11 Study 3.3.7, Fish Entrainment and Turbine
12 Passage Mortality Study. It sounds like from the previous
13 discussion that the previous discussion holds that you would
14 continue forward in 2014 or is there a reason this would
15 need to be delayed?

16 MS. TOMICHEK: Chris Tomichek.

17 MR. HOGAN: Chris.

18 MS. TOMICHEK: It probably needs to be delayed
19 because to do the entrainment study we're going to be doing
20 it gives the turbine mortality, the radio telemetry, all the
21 stuff that we just delayed, we're going to put that as part
22 of the component of this entrainment study. So I think it
23 almost follows it has to be delayed if we're not going to
24 have the data.

25 MR. HOGAN: Because of the other studies?

26

1 MS. TOMICHEK: Correct.

2 MR. HOGAN: Andrea.

3 MS. DONLAN: Task one is a desktop analysis. I
4 don't think it necessarily informs the task two or three.
5 Do you feel like it does? I don't know if it matters when
6 it happens, whether it gets done before or after. Or do you
7 think it would be good to have it done in 2014 still?

8 MS. TOMICHEK: We'll talk -- .

9 MR. HOGAN: Chris, which studies did you say
10 were interrelated?

11 MS. TOMICHEK: The turbine mortality studies.
12 That's where we're getting a lot of the data for the
13 entrainment for the eels, the turbine mortalities, and the
14 duval shad turbine mortality studies will be a component of
15 this entrainment work.

16 MR. SLATER: If there's any balloon tag work,
17 that could go forward. But what you're saying is you're
18 going to use the routes of passage that you figure out from
19 your radio telemetry study to apportion how many fish go
20 through the entrainment versus bypassing?

21 MS. TOMICHEK: Right.

22 MR. SLATER: So you need that data.

23 MS. TOMICHEK: You need the data.

24 MR. SLATER: Is there any field work involved
25 in this study with balloon tags or is this all just desktop?

26

1 MS. TOMICHEK: This particular 3.3.7 --

2 MR. SLATER: Yeah.

3 MS. TOMICHEK: -- is pretty much desktop.

4 MR. SLATER: Okay.

5 MS. TOMICHEK: Gathering, you know, data from
6 the other fields of studies.

7 MR. SLATER: Got it.

8 MR. DEVINE: Well, we may just have to change
9 the report timing for this. Okay? So that would be a
10 change to 2015. It could be the entire study because it's
11 informed by...

12 MS. TOMICHEK: But (inaudible).

13 MS. GRADER: So, like the residents, the ones
14 there, the -- , I mean the residents. But no fielding data.

15 MS. TOMICHEK: Well, the -- we're going to use
16 the fish assemblage study to inform us about the -- of fish.

17 MS. GRADER: Okay.

18 MR. DEVINE: We haven't got there yet.

19 MR. HOGAN: Okay.

20 We're going to jump ahead to the fish
21 assemblage study. Is that one that -- if that's your reason
22 for the resident fish is that the fish assemblage study
23 needs to be delayed, the question is does the fish
24 assemblage study need to be delayed in Turners Falls.

25 MR. SLATER: It goes back to coordination

26

1 issues. I think it could probably go forward down here, but
2 it's certainly going to delay at Vernon where you saw, you
3 know, that we couldn't get all the data in the same year.

4 MR. HOGAN: Okay.

5 All right. Back up to --

6 MR. MINOR: Ken? Tom Minor.

7 I didn't get it. Is it delayed or not?

8 MR. HOGAN: The recommendation is to delay it
9 so that the data is -- the timing of the data collection is
10 --

11 MR. MINOR: That's what I heard --

12 MR. HOGAN: -- concurrent with TransCanada's
13 data collection.

14 MR. MINOR: -- but I didn't hear a firm choice
15 of what was going to happen. Delay?

16 MR. HOGAN: Delay.

17 MR. MINOR: Thank you.

18 MR. HOGAN: And I heard general agreement on
19 that.

20 And I think the reason for delay at Vernon --
21 or at least in Vernon pool for fish assemblage is outlined
22 in the New Hampshire Fish and Game's comment letter about
23 entrainment at VY. So even though we're not having that
24 discussion today, it sounds like it's probably going to be
25 the result tomorrow.

26

1 John Ragnese.

2 MR. RAGNESE: What they say? Not what we say.

3 (Laughter.)

4 MR. RAGNESE: Well, we would concur.

5 (Laughter.)

6 MR. HOGAN: All right.

7 Study 3.3.10, Assess Operational Impacts on
8 Emergence of State-Listed Odonates in the Connecticut River.

9 MR. LEDDICK: Jesse Leddick with Division of
10 Fisheries and Wildlife.

11 We thought that this study was primarily a
12 water fluctuation study and it wasn't temperature. So we
13 didn't have any concerns about going forward as planned.

14 MR. HOGAN: So water emergence or anything is
15 not...

16 MR. LEDDICK: It may affect the timing
17 slightly. But I think the major issue again is water
18 fluctuations, level.

19 MR. HOGAN: Good enough.

20 MR. ETTEMA: So if water level fluctuations
21 differ throughout the season and we shifted the timing of
22 emergence now because we no longer have, you know, an open
23 reservoir, we have a frozen reservoir, it shifts the insect
24 metabolism, that kind of things, in development. And I
25 don't really have a good sense for that. But is that a
26

1 concern that we need to discuss here?

2 I mean what sort of timing shift are we
3 expecting? Is it going to possible to be a week?

4 MR. HOGAN: I don't think you're going to --

5 MR. LEDDICK: I don't know if we can answer the
6 question.

7 MR. ETTEMA: I don't either. I'm just throwing
8 it out there.

9 MR. LEDDICK: I think we were thinking about
10 similar issues. And I think we came back to the fact that
11 we just don't know the answer. I guess again we could delay
12 it; we just didn't say it.

13 MR. HOGAN: My primary concern is -- we don't
14 have an opinion whether it would occur next year or in 2015.
15 Our concern is making sure that the data we collect in any
16 given year is appropriate data. So if you feel that there's
17 an uncertainty and you may think that we're going to collect
18 inappropriate data, I think the recommendation should err on
19 the conservative side. If you think that there's no issue,
20 that's...

21 MR. HAZELTON: I think I'd like a bit of
22 modifier stance when we come to make study here.

23 MR. HOGAN: Okay. 2015?

24 Are you guys...?

25 MR. WAMSER: Mark Wamser with Gomez and
26

1 Sullivan.

2 We had it 2014. But I guess 2015 it's going to
3 be. I'm just not sure in the end -- because you aren't
4 going to have a condition for licensing in... Okay. Great.
5 You may.

6 I guess we're fine with delaying.

7 MR. HOGAN: And I think what Nick was alluding
8 to is that if emergence is delayed by -- let's say it's two
9 weeks or a month, does that push it into a different
10 hydrologic cycle under the -- compared to the current
11 condition, yield related stream flows.

12 MR. WAMSER: Right.

13 MR. HOGAN: And is that question an issue or
14 not.

15 And if you can say that between March and June
16 the reservoir fluctuation is the same regardless of in-flow,
17 then that may be an important -- you know, information to
18 say, well, it really may not matter. But if your reservoir
19 fluctuations do change because of the hydrologic change in
20 run-off or whatever it may be, maybe we need to consider
21 that.

22 MR. WAMSER: I understand what you're saying.
23 I don't know what the answer is.

24 But this goes across the board for all these
25 studies. We don't want to do these studies more than once.

26

1 So if there is a concern we would rather delay it. But that
2 goes for all these studies we're talking about today. I'd
3 rather take a conservative approach. So if that's what we
4 defer, then we're fine with that.

5 MR. HOGAN: Okay. Fine.

6 (Pause.)

7 MR. HOGAN: Okay. So we already discussed fish
8 assemblage. That came out with TransCanada's presumed 2015
9 implementation.

10 MR. RAGNESE: The assemblage? I mean -- I
11 didn't hear the numbers that you're referring to.

12 MR. HOGAN: Fish assemblage. I said we already
13 discussed it and we were linking that with the presumed
14 delay of that for TransCanada.

15 MR. RAGNESE: Got you.

16 MR. HOGAN: So just for curiosity, in the event
17 that it's determined tomorrow that TransCanada's fish
18 assemblage shouldn't be delayed, this one's -- the
19 FirstLight can go forward also?

20 UNIDENTIFIED PARTICIPANT: Yeah. In the
21 unlikely --

22 (Laughter.)

23 MR. RAGNESE: Are you going to give us a
24 determination tomorrow?

25 MR. HOGAN: The recommendation.

26

1 You may be able to at your own risk.

2 MR. RAGNESE: Thank you.

3 MR. HOGAN: We move the recommendation --

4 MR. RAGNESE: I will defer to Mark Wamser's
5 comment: We do not want to do things twice.

6 MR. HOGAN: All right.

7 MR. RAGNESE: Or even once.

8 (Laughter.)

9 MR. HOGAN: Study 3.3.12, Evaluate Frequency
10 and Impact of Emergency Water Control Gate Discharge Events
11 and Bypass Flume Events on Shortnose Sturgeon Spawning and
12 Rearing Habitat in the Tailrace and Downstream from Cabot
13 Station.

14 It's probably one of the longest study titles
15 I've ever seen.

16 (Laughter.)

17 MR. HOGAN: Is there any reason that this study
18 should be delayed?

19 MR. MC DAVITT: Bill McDavitt, NMES.

20 We saw that as part of the flow trip event,
21 with stream temperatures, certain spawning.

22 MR. HOGAN: Okay.

23 Karl.

24 MR. MEYER: Karl Meyer.

25 Temperature, if you look in chapter three of
26

1 Boyd Canard's book, A Life History of Biology of Sturgeon,
2 in certain years temperature and flow can be a determinant
3 of whether shad actually -- I mean sturgeon actually spawn.
4 So I would think it would be confounding to sort of do this
5 in a year when Vermont Yankee was operating and then have
6 the rest of... So I would say delay.

7 MS. TOMICHEK: This is Chris Tomichek.

8 This has nothing to do with shad spawning.

9 This study --

10 MR. MEYER: I'm sorry, I made a mistake.

11 MS. TOMICHEK: Oh, sorry.

12 MR. MEYER: I'm sorry, I mis-identified.

13 But -- and there's also -- I just read a paper,
14 Erica Parker and Canard, that temperature may affect larval
15 dispersal at depth. At varying peaks the larvae may
16 disperse farther downstream. It may affect predation, et
17 cetera.

18 MR. MC DAVITT: This is Bill McDavitt with
19 NMES.

20 I think the first year objectives are almost
21 entirely operational. It's sort of a question of when are
22 these things released. Essentially what we ask is, you
23 know, please tell us when you might do emergency
24 control-gate release.

25 And the third one, it's really more of a set of
26

1 transport velocities and depths. When the physical -- you
2 know, when you do have that release, what is the physical
3 change depth velocity and entrainment, et cetera.

4 It's not -- I mean it could be all of these --
5 well, first of all, you don't know if it assumes sturgeon
6 spawn early that year; they could spawn late; they could
7 even not spawn at all. It's really -- the question really
8 goes to just when does the emergency gate -- .

9 MR. HOGAN: Yeah. It's a physical study.
10 They're not actually going out and looking at biological
11 effects on the species as a result of the operations.

12 Well, they're not going out and sampling
13 sturgeon.

14 UNIDENTIFIED PARTICIPANT: Right. Right.

15 MR. HOGAN: They're looking at the habitat
16 effects.

17 MS. TOMICHEK: But I think we're actually
18 avoiding the spawning period when we do this study. We
19 don't want to do it during the spawning period. We want to
20 do it some other time. It really has nothing to do with - -
21 .

22 MS. GRADER: It doesn't mean that temperature
23 doesn't affect that sturgeon; for the purposes of this study
24 it's to evaluate just the physical habitat features --

25 MS. TOMICHEK: Right.

26

1 MR. HOGAN: Yeah. If sturgeon were there
2 spawning, what would that mean?

3 MR. MEYER: Okay. So they're not -- definitely
4 not going to occur during the spawning cycle. But you are
5 going to look at history of when -- we do have some sort of
6 record of when these have occurred. Okay. Thank you for
7 the clarification.

8 MR. HOGAN: So it sounds like that
9 recommendation from the room is going ahead and keep that on
10 track for 2014.

11 MR. MEYER: Correct.

12 MR. HOGAN: Okay. The proposed schedule.

13 MR. MEYER: Yes.

14 MR. HOGAN: Okay.

15 All right. 3.3.13, Impacts of the Turners
16 Falls Project and Northfield Mountain Project on Littoral
17 Zone Fish Habitat and Spawning Habitat.

18 MR. WARNER: I guess I'll ask Chris, I'm pretty
19 sure this is what we advanced for -- there were various
20 study ideas on this. And I don't have a comment on it; I
21 don't remember.

22 (Laughter.)

23 MR. WARNER: This is a physical assessment on
24 the impacts of water level fluctuations on littoral zones
25 and what the communities experienced. And since it's only
26

1 water -- there's no fish component to this, no fish sampling
2 component.

3 MS. KENNEDY: Well, there's primate -- and
4 there's -- .

5 MR. HOGAN: In this way it's a similar
6 relationship would be to the study where if the spawning
7 window is shifted and the natural hydrology is being -- a
8 different stage in the hydrologic cycle --

9 MR. WARNER: Well, that's why I asked the
10 question because I thought we had asked for the physical
11 portion. And I couldn't remember whether we had the fish
12 portion in there.

13 MS. DONLAN: That's the next one, John. But
14 thank you. Aquatic habitat mapping.

15 MR. WARNER: Yeah, well...

16 MS. DONLAN: It was one we worked out.

17 MR. WARNER: Yeah, if that's the case then,
18 yeah, then you have to do it. Otherwise you'd -- you have
19 to understand why the proper -- .

20 MR. HOGAN: 2015 for 3.3.13.

21 (Pause.)

22 MR. HOGAN: Does anybody need a break? Are we
23 good?

24 MS. DONLAN: This one does have a literature
25 review task. 3.3.13 has a -- task one is a literature
26

1 review that could proceed.

2 MR. SLATER: 3.3.14 has the purely physical
3 mapping of the... That might actually help get that out of
4 the way the first year; the second year you'll know where
5 the fish --

6 MS. DONLAN: Then we already have everything
7 about those.

8 MR. DEVINE: On the previous one, it was okay
9 to -- I don't know if you're okay with task one proceeding
10 in 2014.

11 MR. HOGAN: 3.3.14 continues up as proposed in
12 2014. Is that what I heard?

13 MS. WILL: Is there -- Was there water quality
14 data associated with that?

15 MR. HOGAN: There's water quality data
16 associated with most of them.

17 MS. WILL: No, I mean for that particular
18 study.

19 MR. HOGAN: Okay. 3.3.15, Assessment of Adult
20 Sea Lamprey Spawning Within the Turners Falls Project and
21 Northfield Mountain Project Areas.

22 MR. PUGH: -- the potential temperature change
23 essentially below Vernon, this should be delayed.

24 MR. HOGAN: Any concerns with that?

25 (No response.)

26

1 MR. HOGAN: 3.3.16, Habitat Assessment Surveys
2 and Modeling of Suitable Habitat for State-Listed Mussel
3 Species in the Connecticut River below Cabot Station.

4 MR. HAZELTON: Peter Hazelton, Mass Division of
5 Fisheries. We propose that this be delayed to 2015 for
6 field work. There is -- task one was to finalize a study
7 plan, and that should proceed in 2014.

8 MR. WAMSER: Mark Wamser, Gomez and Sullivan.

9 Again, reiterating what I said earlier, we're
10 fine delaying it. But this was linked with the in-stream
11 flow study. So data collected as part of this is going to
12 inform the in-stream flow study.

13 MR. HAZELTON: We don't want to delay in the
14 in-stream flow study.

15 MR. WAMSER: And that's why I bring it up.

16 MR. HOGAN: Okay. So let's elaborate on the
17 concern.

18 MR. HAZELTON: The concern is that temperature
19 is a physical habitat and it affects mussel reproduction,
20 the holding of larvae, and also timing of fishing -- . It
21 may also affect movement and the ability to determine mussel
22 densities and more important demographic variables that the
23 division has requested be involved in the mussel survey.

24 So -- And we also understand that there has
25 been some work at the way this was devised into a phase one
26

1 and phase two to look at a more qualitative approach for
2 looking at mussel densities and distributions. We
3 understand that that's been done already in some areas. And
4 that's fine.

5 But in going back and assessing more
6 quantitative habitat use of freshwater mussels, we think
7 that that should be incorporated in here as where the
8 temperature is not as variable.

9 MR. HOGAN: I'm not a mussel guy.

10 What kind of timeline for colonization are we
11 looking at after a change in the temperature regime for
12 mussel beds? I mean if habitats were to become more stable
13 because of a change in water temperature, how long a period
14 of time -- are we talking about a year or are we talking a
15 decade?

16 MR. HAZELTON: As far as the colonization of a
17 patch with large enough densities, significant establishment
18 of a new patch, we're probably talking about a decade.

19 But as far as getting an estimate of mussel
20 densities within a patch and the characteristics of that
21 patch, that's immediate. The temperature is going on;
22 mussels do respond to temperature and it informs their -- it
23 drives their movement rates and their burrowing rates.

24 So I do believe that looking at changes in
25 temperature is an important factor in determining what
26

1 mussel habitat, how mussel habitat is in the river. And so
2 to measure those temperatures in a year that is -- that
3 temperature is affected by fish -- would be inappropriate.

4 MR. HOGAN: Okay.

5 MR. WAMSER: Mark Wamser again.

6 Keep in mind that this study was all below
7 Cabot. And I'm wondering by then if any temperature
8 achieved at the mix by that point.

9 MR. HAZELTON: You're absolutely right. And
10 I'm not certain about that. I don't think that we have that
11 data.

12 MR. HOGAN: Yeah. And I think we're taking the
13 approach that even though it may be mixed, it's still going
14 to be quantitative. We're taking -- Now that's the
15 conservative approach we're assuming.

16 Mark, can you elaborate on your concerns
17 regarding the IFIM and how the data between the two studies
18 interrelates?

19 MR. WAMSER: Well, I think what's been done
20 already is in the bypass channel from Turners Falls Dam down
21 to the Deerfield there's already been mussel studies done.
22 So we know at least from that there's no state-listed
23 species that were identified.

24 So the whole purpose here was -- this study was
25 going to go from roughly the Deerfield downstream to find
26

1 out if there's any state-listed species. And then if we
2 found state-listed species then perhaps that would be a
3 location where we put a transect for an in-stream flow study
4 or to look at water level fluctuations. That was the reason
5 why. That's the link.

6 MR. HOGAN: Okay.

7 John.

8 MR. WARNER: I have a question.

9 I'm having trouble understanding how in the
10 year after the VY goes offline, the spring after, that if
11 you wait until then you'll actually gain anything because
12 you won't see small mussels that are being spawned. They
13 don't -- I mean I may be wrong, but I don't think they move
14 real fast. So I can't imagine that we're going to find --
15 you know, they're all here and then they're all a couple
16 miles downstream.

17 So it seems to me that if they exist and you do
18 a thorough survey you'll find them. The path is whether or
19 not they're small and they -- and those vary -- become more
20 important are more -- their populations improve with VY
21 offline if colder water is good. Or the reverse could be
22 true: that the warmer water in the winter actually helped
23 them. I mean you wouldn't really see that until years
24 later.

25 So it seems like -- and it's a
26 state-listed species. It seems like you'd have the

1 opportunity to say we need to assess this now and make the
2 best call we can to figure out what the operations are, you
3 know, based on where they are now.

4 And once you change things, for whatever
5 reasons, you're changing flows for sturgeon, you're going to
6 change, you know, you may change flows for other fisheries
7 and you may change -- and the water quality conditions would
8 change. You need to go back and ask for some sort of post-
9 follow-up survey to see that, you know, if the mussel
10 populations have, you know, improved or not improved or what
11 not.

12 I just don't see that we're going to have a lot
13 of information to make a call that's going to inform the
14 licensing decision in -- based on that.

15 MR. HAZELTON: You were right that in this
16 study you would not be able to see any -- we wouldn't have
17 any measure that we could get other than any physical
18 characters of mussels that are actually in the demographic
19 variables that are being measured are not the kind of
20 general rates could be assessed and sex ratios could be
21 assessed.

22 Temperature may or may not affect that. I
23 think that our bigger concern here is that we've asked for
24 temperatures to be incorporated as a physical variable and
25 changes in temperature be incorporated over a peaking cycle
26

1 because that may be important to determining what persistent
2 habitat is in this stretch of river.

3 MR. HOGAN: Let me ask you a question. What is
4 the -- And this is for both. I'm trying to see if there's a
5 solution here.

6 MR. HAZELTON: Yes.

7 MR. HOGAN: If the habitat surveys were
8 conducted in 2014, to the extent that that information is
9 needed for the IFIM, location of the mussels, identified
10 transects gone and so forth, in 2015 could temperatures be
11 taken on a peaking cycle at those sites to satisfy your
12 needs?

13 MR. HAZELTON: That would be acceptable.

14 MR. HOGAN: Is that something that you guys --
15 to reach resolution of the concern -- could propose?

16 So in 2014 the mussel surveys are conducted as
17 proposed.

18 MR. SULLIVAN: Yeah.

19 MR. HOGAN: With one variance, that there would
20 be a follow-up in 2015 and collect temperature data over a
21 peaking cycle at those sites.

22 MR. SULLIVAN: Logistically we could. But I
23 think the questions on the table are different questions
24 than the timing -- or maybe they're related to the timing.
25 I mean I think some of the questions are -- we didn't have
26

1 an eye yet on the methodology for the IFIM study relative to
2 mussels.

3 And so a number of the things I think that
4 you've raised are things that are not necessarily in
5 agreement, you know, type of things. So I mean that's
6 almost like a separate question that we need you guys to
7 evaluate. That has nothing to do with VY, per se.

8 MR. HOGAN: I'm going to ask for a caucus.

9 (Recess.)

10 MR. HOGAN: So as I was reminded just before we
11 caucused, the temperature issue for the mussel surveys is
12 the current item of dispute for consideration as a
13 condition. So we recognize your issue and interest with
14 temperature and incorporating it into data collection with
15 the IFIM.

16 I don't want to discuss the need for that data.
17 But what I also heard you say was that you didn't have a
18 concern with the proposed data being collected in 2014 prior
19 to the VY decommissioning to support the IFIM study, but you
20 were interested in temperature data post-VY. Is that a fair
21 assessment of...?

22 Okay. With that, I think we know what we need
23 to know and we will weigh in on the temperature data issue
24 in the study plan determination and recognize that if we
25 think that it should all be shifted, we'll address it

26

1 appropriately. And if it doesn't need to be shifted or --
2 we will deal with it based on our knowledge of your
3 concerns. If you want to elaborate in writing on that
4 concern, please do so.

5 But if I've characterized it fairly here, then
6 --

7 MR. SULLIVAN: Yes.

8 MR. HOGAN: All right.

9 Any other -- Tom?

10 MR. CHRISTOPHER: Sorry, unclear: Delay or no
11 delay.

12 MR. HOGAN: Unclear. We don't know yet. Not
13 determined.

14 MR. CHRISTOPHER: Not determined. All right.
15 That's fine. That's fine.

16 MR. HOGAN: I think what we have is the
17 information that we need to make a decision --

18 MR. CHRISTOPHER: Got that.

19 MR. HOGAN: -- in the study plan determination
20 as to whether or not it should be delayed. And that's going
21 to be influenced by our decision on the need for the
22 temperature data.

23 MR. CHRISTOPHER: All right.

24 MR. HOGAN: Okay?

25 MR. CHRISTOPHER: Thank you.

26

1 MR. HOGAN: And it could be a combination of
2 both.

3 I've got to make sure I write that down.

4 (Pause.)

5 MR. HOGAN: So study 3.3.17, Assess the Impacts
6 of Project Operations of the Turners Falls Project and
7 Northfield Mountain Project on Tributary and Backwater Area
8 Access and Habitat.

9 Is that study okay to move forward in 2014?

10 (No response.)

11 MR. HOGAN: I don't hear any issues with that.
12 So no delay is the recommendation. We're all set.

13 3.3.18, Impacts of the Turners Falls Canal
14 Drawdown on Fish Migration and Aquatic Organisms.

15 Any concern with that continuing on in 2014?

16 (No response.)

17 MR. HOGAN: No?

18 (No response.)

19 3.3.19, Evaluate the Use of an Ultrasound Array
20 to Facilitate Upstream Movement to Turners Falls Dam by
21 Avoiding Cabot Station Tailrace.

22 MS. KENNEDY: This is Katie Kennedy, TNC.

23 I just had a question, to go back real quick to
24 3.3.17. Was there any water quality component of that one?
25 Or is that just physical?

26

1 MS. TOMICHEK: Yes, screen and collect water
2 quality information.

3 MS. KENNEDY: Within the tributaries? Is it
4 linked to the overall water quality study?

5 MR. WAMSER: I think we -- This is Mark Wamser.
6 We do say collect spot measurements of water
7 temperature, dissolved oxygen, turbidity, -- .

8 MR. WARNER: I guess I'll ask you the question.
9 But I don't recall us asking for that specifically.

10 But the spot measurements and the day you
11 happen to be out there doing physical measurements, they're
12 going to tell us nothing. I mean it seems like you're going
13 to be informed by the water quality study that's going to
14 have continuous monitoring stations.

15 And if you're going to have continuous
16 monitoring stations in a backwater area then you learn
17 something; if you don't, you won't find anything.

18 We were looking at access mostly, I believe.

19 MR. HOGAN: Katie, do you have any further
20 concerns?

21 MS. KENNEDY: I just know -- I think that there
22 was some -- someone at some point had some concern about
23 temperature of some of the backwater areas. Maybe it was
24 for the TransCanada study. I can't remember.

25 Yes, Ken remember. Ken Sprankle remembers.

26

1 MR. SPRANKLE: I'll just speak up. That was
2 Gabe Greece when we had our conversation, if you'll recall
3 now.

4 MS. KENNEDY: Oh, right.

5 MR. SPRANKLE: Is that -- I mean --

6 MS. KENNEDY: Okay.

7 MR. SPRANKLE: It was for a set-back
8 immediately across --

9 MS. KENNEDY: That's right.

10 MR. SPRANKLE -- from VY. So...

11 MS. KENNEDY: Okay.

12 MR. HOGAN: So 2014?

13 (No response.)

14 MR. HOGAN: Okay.

15 3.3.18 you said 2014.

16 3.3.19, Evaluate the Use of an Ultrasound Array
17 to Facilitate Upstream Movement to Turners Falls Dam by --

18 MR. LEDDICK: Well, there aren't going to be
19 any shad with radio tags.

20 MR. HOGAN: Correct.

21 MR. LEDDICK: So I don't think we want to go
22 ahead with that one either.

23 MR. HOGAN: 2015?

24 MR. LEDDICK: 2015.

25 UNIDENTIFIED PARTICIPANT: No, it's more like
26

1 '16.

2 UNIDENTIFIED PARTICIPANT: Yeah.

3 MR. HOGAN: '16. Oh, it's the year after...

4 UNIDENTIFIED PARTICIPANT: It's scheduled for
5 the second year of the radio tagging study.

6 MR. HOGAN: So delay.

7 UNIDENTIFIED PARTICIPANT: Yes.

8 MR. HOGAN: All right.

9 4.2.3, Hydraulic Study of Turners Falls Power
10 Canal. Now this was a request -- a study requested by Karl
11 Meyer.

12 MR. MEYER: Well, first of all, it's nice to be
13 on the same page with FERC for something here. I look at it
14 and in my paranoid head I thought, 'They're setting me up.'

15 (Laughter.)

16 MR. MEYER: I would like to hear from the
17 agencies and the non-profits about whether -- I know nobody
18 wants to take the risk of sending the migratory fish of the
19 United States into the Turners Falls Canal if there's a
20 different place for the next twenty or thirty years. And to
21 know what happens in that canal under certain flow
22 conditions is critically important, if that's even still on
23 the table.

24 So I'd like to know what U.S. Fish and Wildlife
25 Service perhaps thinks about the impacts of Yankee on the

26

1 study going forward as a hydraulic study in 2014 or 2015, if
2 that's an okay question to put out there. And John and...

3 MR. HOGAN: I want to ask Karl a question
4 because I think, you know, the agency didn't request this
5 study. But, you know, it is a study request that we have to
6 deal with and we are going to address the request. But I do
7 have some questions for you about the study, the hydraulic
8 study and how it may be influenced by Vermont Yankee's
9 decommissioning or not.

10 Do you see, as a -- I mean my understanding is
11 you're looking for, with the study request, you know, what
12 are potential barriers of migration within the power canal
13 for shad migration upstream. I believe there was a
14 component of the telemetry study, you also requested that
15 shad be tagged in the power canal. And I believe that was
16 consistent with Fish and Wildlife Service's request and done
17 time-limited as well.

18 So in your opinion, for your study request is
19 it appropriate to delay the study request to utilize the
20 telemetry data if we were to approve it, or, you know, can
21 the hydraulic analysis go forward without the telemetry
22 data?

23 MR. MEYER: I hear what you're saying. And I
24 think it's correct that the two are linked because clearly
25 the canal is going to be influenced by Vermont Yankee.

26

1 Anybody who's ever seen the habitat has seen the little part
2 way that goes through there and then, you know, that sort of
3 large lake back there. That's going to have a lot of
4 bearing on decisions that are made going forward.

5 So I would recommend taking hydraulic also.

6 MR. HOGAN: Anybody else have any response to
7 that?

8 Andrea?

9 MS. DONLAN: Andrea Donlan, Connecticut River
10 Watershed Council.

11 I'm a little confused because I thought with a
12 hydraulic study of the river, FERC, you already ruled on
13 that study plan determination from September, right? So is
14 this study still on the table, or is it only any temperature
15 aspect is still on the table?

16 Haven't you already determined that a hydraulic
17 study in the canal is not warranted?

18 MR. HOGAN: We have not determined that.

19 MS. DONLAN: I'm sorry?

20 MR. HOGAN: We have not determined that.

21 MS. DONLAN: You have not. Okay.

22 And I guess, Karl, you said you wanted to hear
23 from non-profits about hydraulic study in general or the
24 temperature aspect of it?

25 MR. MEYER: Yeah.

26

1 Mostly I was interested in, you know, Ken or
2 John's take on it. But it is clearly linked to tagging
3 studies and how fish move through there or do not move
4 through there. And I know that some of Ken's studies, you
5 know, have some information about the delays, which are
6 rather severe in that canal. And we don't know what happens
7 to those in the canal. So that's why I would
8 recommend sort of moving VY off the table and sort of
9 linking them or saying that yea, not have that influence as
10 we go forward with them.

11 MR. HOGAN: Andrea, the hydraulic signature --
12 bypass stream consistently up from Cabot Station to the dam
13 or to request for hydraulics in that area. And that was
14 separate from the power canal.

15 MS. DONLAN: I guess I'll add that the
16 Watershed Council had similarly brought up the issue and
17 FirstLight's response was, if I remember correctly, that a
18 hydraulic study in the canal is not warranted because we
19 always keep the water level in the canal at the same level.
20 So I was trying to understand that because, yes, the water
21 level might be the same but the velocity of the water going
22 through the canal varies.

23 But then I think in talking to Fish and
24 Wildlife staff, they said that there's already been some
25 sort of a study done that would answer some of those
26

1 questions.

2 Is that true?

3 MR. HOGAN: FirstLight did a hydraulic study of
4 the gatehouse and maybe other areas.

5 MS. DONLAN: But the entire -- the canal, other
6 transects done in a previous -- were previously studied that
7 looked at some of the hydraulics?

8 MR. FRANKEL: This is Ken Frankel, Fish and
9 Wildlife Service.

10 Bob, the study that you have shared some
11 preliminary result was focused in the gatehouse area.

12 MR. SEIVA: Yeah. That's what I think Ken was
13 referring to, yeah.

14 MS. DONLAN: Those are sort of some key areas
15 within the canal that people care about that there's enough
16 of an understanding about the hydraulics.

17 MR. HOGAN: Right now that is the study request
18 that's in dispute. FirstLight's not proposing it. It has
19 been requested. We'll weigh on its appropriateness.

20 I just wanted to know, if we weigh in in favor
21 of it, was the -- appropriate or should it go forward.
22 That's the question I wanted answered.

23 MS. DONLAN: Okay.

24 MR. HOGAN: I want to treat all studies
25 equally. I don't want to give any indication at these
26

1 meetings that, 'Oh, we're not going to approve that one,' or
2 'We are going to approve that one,' so we discuss it or not
3 discuss it.

4 MS. DONLAN: Okay.

5 MR. HOGAN: All studies that are on the table
6 for determination are intended to be discussed.

7 UNIDENTIFIED PARTICIPANT: I just wanted to add
8 that it was co-sponsoring with the FERC. It's on the table
9 for FERC. So we're partnering.

10 MR. HOGAN: That was our last study. And the
11 summary of that one, it sounded like because the board may
12 approve its appropriate to delay it to 2015 because of the
13 -- . So the next item on the agenda, the meeting summary.
14 I've asked John Devine to provide that, unless you guys want
15 to skip that part for -- to speed things up.

16 MR. DEVINE: John Devine, FERC.

17 Starting off with 3.2.1, Water Quality
18 Monitoring Study, that was recommended delay the field work
19 to 2015. The desktop could move forward. Field work --
20 Desktop would move forward. So the field work was delayed
21 to 2015, and some desktop work would move forward.

22 Any difference on that?

23 (No response.)

24 MR. DEVINE: Okay.

25 3.3.1, study 3.3.1, Conduct Instream Flow
26

1 Habitat Assessments in the Bypass Reach and below Cabot
2 Station, no change to that schedule.

3 (Response off mic)

4 MR. DEVINE: Unless -- Yes, something with
5 mussels.

6 3.3.2 --

7 UNIDENTIFIED PARTICIPANT: Actually, looking
8 after it. So dependent on --

9 MR. DEVINE: 3.3.2, Evaluate Upstream and
10 Downstream Passage of Adult American Shad. Tasks one and
11 two could proceed in 2014; task three, which is a field
12 assessment, would be delayed to 2015.

13 Study 3.3.3, Evaluate Downstream Passage of
14 Juvenile American Shad. Field work of that would be delayed
15 to 2015.

16 3.3.4, Evaluate Upstream Passage of American
17 Eel at the Turners Falls Project. No change in that
18 schedule.

19 3.3.5, Evaluate Downstream Passage of American
20 Eel. Entrainment using the Hi-Z tags would continue to be
21 in 2014, entrainment assessments. Field work delayed on a
22 radio telemetry study. That's eels coming from upstream.
23 So the downstream movement studies will be delayed to 2015.

24 3.3.6, Impact of Project Operation on Shad
25 Spawning, Spawning Habitat and Egg Deposition in the Area of
26

1 the Northfield Mountain and Turners Falls Projects. And
2 that's a radio -- because of the radio telemetry component
3 we would proceed -- you would proceed with task one, but
4 other tasks would move to 2015.

5 There was a question there also on -- there was
6 a stakeholder meeting scheduled for very early in 2014
7 planning session, and that would like -- it would be -- it
8 could be delayed as well. There was no firm schedule set
9 for that.

10 3.3.7, Fish Entrainment and Turbine Passage
11 Mortality Study. That was related to the turbine mortality
12 study where all the needed data from the route of passage
13 and fish assemblage studies. So the entire study would be
14 delayed to 2015.

15 3.3.10, Assess Operational Impacts on Emergence
16 of State-Listed Odonates in the Connecticut River. Delay
17 that to 2015.

18 3.3.11, Fish Assemblage Assessment. Because of
19 coordination with the Vernon, studies going on at Vernon,
20 delay that to 2015.

21 3.3.12, primarily of physical and hydraulic
22 study, no change in that schedule.

23 3.3.13, Impacts of the Turners Falls Project
24 and Northfield Mountain Project on Littoral Zone Fish
25 Habitat and Spawning Habitat, there was a literature review
26

1 component of that study that could proceed -- or would
2 proceed in 2014, and the rest would be moved to 2015.

3 3.3.14, Aquatic Habitat Mapping of Turners
4 Falls Impoundment, no change to that schedule; it would
5 proceed in 2014.

6 3.3.15, Assessment of Adult Sea Lamprey
7 Spawning Within the Turners Falls Project and Northfield
8 Mountain Project Areas, delay the entire study to 2015.

9 3.3.16, Habitat Assessment Surveys and Modeling
10 of Suitable Habitat for State-Listed Mussel Species, that is
11 to be determined. That's before the Commission. We
12 understand the concern of that is temperature data
13 potentially needed in 2015 to show the effects of Vermont
14 Yankee not operating.

15 3.3.17 is primarily physical access study. No
16 change in schedule; proceed in 2014. That's Assess the
17 Impacts of Project Operations of the Turners Falls Project
18 and Northfield Mountain Project on Tributary and Backwater
19 Area Access and Habitat.

20 3.3.18, the potential Impacts of the Turners
21 Falls Canal Drawdown on Fish Migration and Aquatic
22 Organisms. No change in schedule.

23 3.3.19, Evaluate the Use of an Ultrasound Array
24 to Facilitate Upstream Movement to Turners Falls Dam by
25 Avoiding Cabot Station Tailrace. That would be delayed.

26

1 It's a second-year study as originally planned. It would be
2 delayed to 2016.

3 4.2.3, Hydraulic Study of Turners Falls Power
4 Canal. If it were to be approved the recommendation would
5 be to move it to 2015.

6 MS. DONLAN: -- the erosion studies?

7 MR. DEVINE: Yes, I'm sorry. The erosion
8 studies, that would be 3.1.2 -- thank you, Andrea.

9 There was an issue there that was brought up
10 was the potential for increased ice effects and would that
11 modify transect locations to understand that potential for
12 increased ice effects. The idea appears to be that that
13 could be addressed by transects being picked through the
14 consultation process and ice could be considered in that
15 transect location selection process.

16 MR. SULLIVAN: Tom Sullivan.

17 So it's not clear to us that accommodating ice
18 is related to transect selection. So although we agree we
19 can go back and look at the best way to accommodate ice with
20 VY, the specific place in the study where it's handled, you
21 know, we don't agree today that it would be a transect
22 selection. We'd need to go back and kind of examine that.

23 MS. DONLAN: I think we were arguing that it
24 needs to, but just that it needs to be considered.

25 MR. SULLIVAN: Right. And we would agree with
26

1 that. I mean we certainly can go back and look at the best
2 way to accommodate it in the study. But, as I said, it was
3 kind of a new issue for today and so we'd need a little bit
4 of time to go back and do that.

5 MR. HOGAN: Well, it --

6 MS. DONLAN: More importantly, I felt that
7 there needs to be a field observation of icing on the banks
8 after VY shuts down, which is not currently in this
9 causation study schedule.

10 MR. SULLIVAN: And again, I'm not sure we can
11 agree with that today. But we will go back and look at ice.

12 MR. HOGAN: So is it appropriate for this study
13 to be amended to address ice specifically?

14 MR. SULLIVAN: It would seem on the surface --

15 MR. HOGAN: Let me rephrase that. Is it
16 appropriate to consider the need to amend this study to
17 address that ice-specifically?

18 MR. SULLIVAN: Yes.

19 MR. HOGAN: All right.

20 I think we should probably develop a process to
21 do that, you know, that would be -- have a conversation with
22 stakeholders specific to that discussion. If it's not just
23 a matter of, 'We can deal with it in transects,' or other
24 ways assuming -- you need to look at what you're proposing
25 or...

26

1 What I'm hearing you, Tom, is to say we need to
2 take another look at it. And what I'm hearing is 'We'd like
3 to be involved when we take a look at it.'

4 So I think the result could be we don't need to
5 make any changes, or maybe the result is we need to make the
6 official modifications. I don't want to regard waiting on
7 the study, I don't want to hold up the other components of
8 it. So I'm wondering do we need to have a look at an
9 amendment?

10 Clearly if you have a field component, as
11 Andrea is talking about, that couldn't occur until 2015,
12 that field component itself, because you need ice to
13 evaluate it.

14 But I'm wondering if, you know, when you take a
15 look at it if you could come up with a suggestion of how you
16 want to address it in consultation with stakeholders and
17 provide that to the Commission, that would great.

18 MR. SULLIVAN: Okay.

19 MR. HOGAN: And just keep in mind that we can
20 also deal with that through the 5.15 regulations after the
21 ISR comes out. So I mean it doesn't necessarily have to
22 take place tomorrow. But after this meeting, you know, it's
23 a recognized issue that is going to have to be taken into
24 consideration. And I can probably get you more guidance
25 when I go back to the office.

26

1 MR. SULLIVAN: So would some of that guidance
2 be a time frame as well? What I have here is...

3 MR. DEVINE: John Devine, HDR.

4 So FirstLight will consider how possibly to
5 accommodate ice as an issue with respect to the study.

6 Is there a time frame FirstLight would --

7 MR. SULLIVAN: We'll provide guidance to the
8 stakeholders with (inaudible). We've still got to figure
9 out the process.

10 MR. HOGAN: Mark.

11 MR. WAMSER: The only thing I just don't -- I
12 don't want to get into is FERC has a rule on this study plan
13 determination. So if there's consultation, that's fine if
14 we're talking about ice. But all the other things are off
15 as far as we're concerned. We're not revisiting how we're
16 going about doing the remainder of the study.

17 MR. HOGAN: Generally speaking, Mark, I would
18 agree with you. We've done a determination; we've made a
19 call. The only reason I would say that that call could be
20 -- should be reconsidered would be -- . There's a process
21 for looking at ice that may influence something that we've
22 already made a call on.

23 So I'm not going to bind my hands, Mark, so say
24 that everything else is off the table. But I agree with
25 you, there is a determination in place. Maybe the option is

26

1 to look at a separate study for ice; I don't know, you know.
2 The scope could be very narrow, yes.

3 MR. MEYER: Just one other devil-in-the-details
4 study.

5 If -- there's a few studies that have been
6 kicked mostly over to 2015, but some of the literature or
7 looking at past studies we'll start next year, the year
8 coming up. I'm just wanting some assurances that that won't
9 preclude if you need two years on the ground to get the
10 study done with significant data that nobody's going to cry
11 foul if most of the stuff is collected in 2015 and then you
12 decide that you need 2016.

13 I just don't want anybody coming back and
14 saying, 'You're asking for three years of study,' just
15 because we're feeling a little pressure. If that's
16 understandable, it's requested.

17 MR. HOGAN: It is. As I -- we need to embark
18 on a licensing decision. You know, if that means that
19 studies are done in 2016, that means studies are done in
20 2016.

21 We recognize that this is a very unique
22 situation. When I polled my co-workers, none of us could
23 think of a time where we were in the middle of re-licensing
24 and knew of a projected baseline change in the middle of
25 study season. So -- and I don't foresee -- I recognize your
26

1 concern. We're interested in the data.

2 MS. WOOD: Ken, can I ask a question about --
3 Julia Wood.

4 I just want to impress you a teeny bit on the
5 erosion study we were just talking about. You said FERC
6 would provide some guidance about this ice component. Do
7 you envision doing that in the study plan determination or
8 in advance?

9 MR. HOGAN: I don't know yet.

10 MS. WOOD: Okay.

11 MR. HOGAN: I have to go back and talk to my
12 supervisors and see how we want to handle it.

13 I do envision that we will have -- kind of
14 jumping into the next item on the agenda -- but as a result
15 of the meetings from today and tomorrow, I do envision that
16 we will issue some type of process timeline for getting to
17 the next study plan determination -- Okay? -- that covers
18 the aquatics. You know, the study plan determination that I
19 think will determine when the studies are conducted based on
20 the information that we've heard at the meetings.

21 So as far as codifying it for 2014 or 2015, I think
22 that's -- determination.

23 If there are studies that need to be modified
24 as a result of the VY, we could either deal -- and it's a
25 2015 study under our recommendation to deal with that in the
26

1 study plan determination, or we could ask for a revised
2 study plan before that. So that the category of the ice may
3 fall into that. But it could be a component of the study
4 plan determination. I just don't know how we're going to --
5 .

6 MR. BENNETT: Hey, Ken, John Bennett. Two
7 questions sort of related to the erosion study and the ice
8 issue.

9 One, the stakeholder consultation just wanted
10 to try to be clear that I would represent interested
11 stakeholders and want to make sure I get on that list for
12 that consultation.

13 The second question is more substantive. And
14 that has to do with the ice study itself. And one might
15 contemplate that some sort of baseline information gathered
16 this year while there is hot water keeping the ice minimized
17 would be valuable information to compare to next year when
18 the hot water is not keeping the river ice-free.

19 MR. HOGAN: I think what I heard, John, was
20 that the -- and unless I hear a request differently, study
21 3.1.2 is going forward as required by the Commission in
22 2014. And I didn't hear anybody say, 'We want to move it.'
23 So you will have this year's data.

24 MR. BENNETT: At present it doesn't appear to
25 contemplate ice very much. And if they're proposing to
26

1 contemplate including ice, baseline information-gathering
2 this year might be useful in evaluating that.

3 MR. HOGAN: Well, we're going to look at the
4 issue.

5 MS. DONLAN: Andrea Donlan, Connecticut River
6 Watershed Council.

7 Since you've already issued your study plan
8 determination on this study, I don't know what this means
9 legally because it's our collective groups aren't -- you
10 know, I guess if we were a licensing agency or whatever we
11 could have issued some -- or written a dispute. But we
12 didn't. And we're not even able to. And so does this --
13 but yet the door is sort of open on study plan determination
14 because half of the studies weren't determined.

15 So I'm just wondering, like, should we submit a
16 request for a study at this point to ... because of the
17 legality? I don't know. I'm not a lawyer so this seems
18 like a weird gray area.

19 MR. HOGAN: I think we've gotten a request to
20 look at ice, you know, with a greater level of concern than
21 previously thought necessary.

22 You can -- if you want to elaborate more in
23 writing about the need or how you'd like to see that done,
24 feel free to file anything in the record. Our record is
25 open. It is an issue that we've already talked about
26

1 internally, but we will be looking at.

2 We've kind of got the recommendations from the
3 team, but we also -- I will admit, ice is not something that
4 we -- when we were coming up with our own internal list of
5 VY potentially affected studies. And thank you for bringing
6 it up because we all kind of sat here around the table
7 saying, 'Yes, okay, that makes sense.'

8 So we need to look at the issue a little more
9 closely than what we're currently requiring; how is the data
10 going to be used and what we're expecting out of the data.

11 MS. DONLAN: So because you have issued your
12 determination on the study, you don't feel that the door is
13 closed for you to revisit it?

14 MR. HOGAN: We would never close off.

15 (Laughter.)

16 MR. HOGAN: The door is open all the time.

17 I said it before: We are interested in making
18 sure that we have the data that we need to do our
19 evaluation. And that's all I can say. I mean we're not --
20 we want good data and we do need to analyze potential
21 project effects. And we'll evaluate what information that
22 is. And if we need an ice study, we'll require an ice
23 study. If we feel that it's something different, we'll do
24 something different.

25 MR. WAMSER: I have a question, I guess a
26

1 procedural question. So you guys issued the study plan
2 determination letter on many of these in September. It's
3 gone during the time when the study disputes were due. A
4 lot of the governmental agencies were not in operation.
5 There was nothing formally in the record as to if they get
6 extended or not.

7 So where are we on that? Are those studies
8 that have been issued --

9 MR. HOGAN: The formal dispute period on those
10 studies is over.

11 MR. WAMSER: Okay.

12 MR. HOGAN: And when we did do the new
13 determination the determination on the aquatic studies, that
14 will have a formal dispute process associated with it.

15 So we're kind of already into the licensing
16 process. The schedules have kind of started the meeting
17 with that based on our collection.

18 If you folks have more questions or concerns
19 and you need me to clarify the different avenues that the
20 Commission can utilize to handle these scheduling issues
21 with the studies?

22 MR. PUGH: Do you have a time frame for
23 resolving these questions that we've brought up here about
24 VY?

25 MR. HOGAN: Yeah. I think as far as, you know,
26

1 the recommendations that have been made as far as the
2 shifting or how to deal with the specific studies, we will
3 capture those in the study plan determination and make a
4 formal call that, you know, this study should be done in
5 2015; we're going to adjust the schedule to propose for
6 2014. I don't see a need for --

7 MR. PUGH: Writing in this?

8 MR. HOGAN: Right, to change dates. I think
9 we'll be able to handle that --

10 MR. PUGH: I guess I was asking when the study
11 plan determination might be issued.

12 MR. HOGAN: What I'm planning to do is go back
13 to the office after these meetings and talk with my
14 supervisors about what we've heard and coming up with a
15 schedule that makes sense for all of us.

16 I still don't know if, based on tomorrow's
17 meeting with TransCanada, if there are going to be studies
18 that need to be changed in methodology, in which case we'll
19 want to make sure that there's a stakeholder process for
20 those changes. And that will influence the schedule for the
21 study plan determination.

22 So what I hope is within two to three weeks,
23 though, we will issue a letter or a notice providing a
24 schedule moving forward with an alternate study plan
25 determination on when that will be issued.

26

1 MS. DONLAN: Andrea Donlan.

2 Are we assuming there's close to zero percent
3 chance that Vermont Yankee will either decide or be forced
4 to use their cooling towers instead of discharging to the
5 river?

6 MR. HOGAN: We are going on the assumption of
7 what they presented today.

8 MS. DONLAN: Which is they're operating at
9 normal, which is currently what they've been doing.

10 MR. HOGAN: As normal... Well, I'm talking
11 about after the decommissioning. You're talking about for
12 next year?

13 MS. DONLAN: For the next year.

14 MR. HOGAN: Current conditions. Yeah.

15 Does that answer your question?

16 MS. DONLAN: Essentially.

17 MR. HOGAN: What's that?

18 MS. DONLAN: I mean I'm assuming -- they left
19 before they heard sort of all the -- and they're not even
20 the staff people who would be making any sort of decisions
21 -- but how much of an impact it has on this process.

22 MR. RAGNESE: I might say you're right, about
23 zero chance.

24 (Laughter.)

25 MR. RAGNESE: I mean I have no idea. But I
26

1 mean they propose what they propose is what you're saying.

2 MR. HOGAN: And I don't normally --

3 MS. DONLAN: Uh-huh.

4 MR. HOGAN: -- say in -- and you know when I
5 provide any influence or opinions on how they should do it.
6 It's not within FERC's jurisdiction and it would be highly
7 inappropriate.

8 MS. DONLAN: Okay. Well, I mean the State of
9 Vermont could issue a new permit; they might appeal it, you
10 know. And then the whole thing would, you know, never get
11 resolved in the next year.

12 But does anyone have any information in this
13 room that would lead them to think that there's more than a
14 zero percent chance that they would go to --

15 MR. HOGAN: Cooling?

16 MS. DONLAN: Yeah, cooling tower.

17 (No response.)

18 MS. DONLAN: Okay.

19 MR. HOGAN: And, you know, if they do that'd be
20 an influence on the river. But I think the way that we've
21 discussed the studies today, it takes the conservative
22 approach that the change occurs, you know, at the end of
23 December next year as opposed to tomorrow, let's say.

24 MS. DONLAN: Right.

25 MR. HOGAN: So I'm not sure. And other than
26

1 not needing to change the studies in that case, I don't
2 think it negatively affects the opinions we've made -- or
3 that we've discussed today.

4 Does that make sense?

5 MS. DONLAN: Uh-huh.

6 MR. MEYER: One more on that, just since we're
7 throwing out hypotheticals.

8 What if something happens at the plant?
9 They've had to shut down before. Would we just stick with
10 what we agreed to now, or -- I guess we'd have to get to
11 that. I mean there is a possibility that they could --

12 MR. HOGAN: If something were to happen that
13 would influence an ongoing study, the ILP has a condition
14 for study data that's collected under anomalous conditions
15 -- Section 5.15 of the regulations -- and we'll deal with
16 it.

17 Any other questions?

18 (No response.)

19 MR. HOGAN: Well, I found this to be extremely
20 valuable. I hope you all had a (inaudible). But it really
21 helps us to streamline the data collection and makes sure
22 that we're going to get good data. So thank you all for
23 coming and sharing your thoughts.

24 And we're way ahead of schedule.

25 (Whereupon, at 1:00 p.m., the Vermont Yankee
26

1 Technical Meeting was adjourned.)

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25